

TRANSCRIPT OF PROCEEDINGS

AUSTRALIAN ENERGY REGULATOR

**RATE OF RETURN INSTRUMENTS
CONCURRENT EVIDENCE SESSION 4 of 4**

MATTERS DISCUSSED:

Cross-checks
Overall rate of return

FACILITATOR:

Ms Anna Brakey (Commissioner, ACCC)

AER STAFF PRESENT:

Mr Warwick Anderson (GM Network Pricing, AER)
Mr Jim Cox (Board Member, AER)
Mr Eric Groom (Board Member, AER)
Ms Catriona Lowe (Board Member, AER)
Mr Justin Oliver (Board Member, AER)
Ms Clare Savage (Board Member, AER)
Mr Jonathan Seymour (Assistant Director, AER)
Mr Esmond Smith (Senior Financial Advisor, AER)

EXPERTS PRESENT:

Dr Glenn Boyle
Dr Toby Brown
Mr Jim Hancock
Mr Dinesh Kumareswaran
Dr Jonathan Mirrlees-Black
Professor Graham Partington

RECORDED VIA VIDEOCONFERENCE

THURSDAY, 17 FEBRUARY 2022 AT 2.00PM

1 MS BRAKEY: Welcome to everybody for the fourth and
2 final instalment of the experts session for the
3 2022 Rate of Return Instruments Concurrent
4 Evidence Sessions, and welcome back to everybody
5 who has been here before and welcome to anybody
6 who is joining for the first time. If you are
7 joining for the first time, I might direct you
8 back to previous transcripts when they come out
9 for some of the preamble information about the
10 process. But for those of you who don't know me,
11 I am Anna Brakey, one of the commissioners at the
12 ACCC and I am facilitating the session.

13 Again, I would like to acknowledge the
14 traditional owners of country throughout
15 Australia and recognise their continuing
16 connection to land, waters and community. We pay
17 our respects to them and their cultures, elders
18 past, present and emerging, and I would extend
19 that respect to other Aboriginal and Torres
20 Strait Islander people who are present today.

21 This is the last session. As I said,
22 I won't go through any of the preamble stuff
23 anymore, but this session is on the cross checks
24 and the overall rate of return. The experts that
25 we've got discussing that today are Graham,
26 Jonathan, Dinesh, Jim, Toby and Glenn.

27 We will start the session with some short
28 presentations from Toby and Jim with their

1 thoughts on cross checks and the overall rate of
2 return, and then we will call on the other
3 experts and on the board members. I would
4 imagine we will spend about two hours in general
5 discussion.

6 But we have five questions for this
7 discussion, which are: "What is the role of
8 cross checks?", "How can the AER use them
9 transparently and predictably to promote
10 confidence?", "What information can measures of
11 financeability play?", "What information can the
12 AER obtain from examining trading and acquisition
13 multiples of the RAB?", and, "The CRG has noted
14 that regulated businesses have consistently
15 outperformed the return on equity. How might
16 this be considered when setting the rate of
17 return?" So they are the questions. So I might
18 hand off to Toby to kick us on this afternoon.

19 DR BROWN: Thanks, Anna. What I thought I might do
20 is cover off some of the specific questions about
21 cross checks first and then come back to speak at
22 the end a bit more generally. And so, I'll just
23 run through the sort of suggestions for cross
24 checks in the questions.

25 So first, financeability. And I guess what
26 we mean there is that for any one of the networks
27 you can take the proposed parameters and sort of
28 forecast forward over the upcoming period what

1 the various different metrics of cash flow and
2 interest payments and ratios and so on, and you
3 can apply the sort of criteria that a credit
4 rating agency might apply.

5 I think it's probably fair to say that we
6 should expect that regulated businesses should be
7 able to support an investment-grade credit rating
8 and probably even that businesses or their owners
9 in fact should have such a rating.

10 And so I think that on the one hand they are
11 important, but on the other hand I don't think
12 it's got anything to do with the rate of return,
13 so I don't really think it's a cross check for
14 present purposes. And that is because even if
15 there may be circumstances in which a business
16 would struggle to meet those credit metrics, for
17 example, because there's a very large and rapid
18 CapEx program that basically means that cash
19 flows don't look right from a credit rating
20 agency perspective, the solution to that problem
21 is nothing to do with the rate of return.

22 You can, for example, adjust the
23 depreciation profile if you think it's important
24 to allow the business to maintain the credit
25 metrics. And doing that respects the NPV equals
26 zero criterion, another way of saying it's
27 NPV-neutral. So I don't think financeability is
28 really important for present purposes, even if it

1 is important more broadly.

2 And RAB multiples, so this is nice in
3 theory. All else equal, if the overall
4 regulatory determination was in some sense too
5 generous then we would expect to see that the
6 market values the business higher than the book
7 value of the regulated asset base. So you would
8 have a multiple greater than one. And
9 conversely, if the determination was not
10 sufficient, if the building blocks were set below
11 where they should be, then it would be below one.

12 But first of all RAB multiples, if they tell
13 you anything, they tell you something about the
14 determination as a whole, not specifically the
15 rate of return building block. And secondly,
16 unfortunately I don't think you really can
17 extract anything useful from RAB multiples
18 because there are very few clean firms that you
19 can look at. There basically aren't really any
20 single asset regulated utilities that are listed
21 and when there are takeovers, there are control
22 premiums and the bottom line, I don't think you
23 can get anything useful out of multiples,
24 unfortunately.

25 And then achieved returns, so assuming that
26 we're talking about a revenue cap rather than a
27 price cap, then there shouldn't be any difference
28 between the revenue that the business collects

1 and what the regulator thought it should be
2 getting when the determination was set.
3 Therefore, to the extent that what you might call
4 the achieved return on equity is different than
5 the rate of return that was set in the
6 determination, that means that one of the other
7 building blocks, the actual costs are different
8 than the building blocks. So for example a
9 business underspent on OpEx and that difference
10 is going to flow through to the achieved return
11 on equity after tax.

12 So looking at achieved returns tells you
13 something about whether the business has
14 "outperformed" the regulatory determination as a
15 whole. Again, it's really got nothing to do
16 with - I mean, in fact the last thing it has got
17 anything to do with is the return on equity. It
18 has to be one of the other building blocks
19 because the return on equity is just a residual.

20 And so, if it means anything, it might be a
21 signal that next time the regulator might want to
22 look more closely or apply some more tests on
23 whichever one of the building blocks seems to be
24 the source of the outperformance. But to do
25 anything with the rate of return or the basis of
26 the rate of return for the next period on the
27 basis of what happened in the period before seems
28 a very slippery slope and it would be

1 inconsistent with usually how we think about
2 regulation in an incentive context, because that
3 would look a lot like taking back past success on
4 the part of the business. So unfortunately, I
5 don't think this really tells you anything about
6 how to set the return on equity for the next
7 time.

8 Now, to come back to the broader point of
9 what kind of cross checks can we be doing, what's
10 the role, I think one potentially useful cross
11 check is to look at what the other regulators are
12 doing. Because I think that all the regulators
13 really are trying to do essentially the same
14 thing: Estimate the cost of equity and use that
15 to set the return as part of the authorised
16 revenues. Yes, there are differences between
17 different jurisdictions and not all businesses
18 are the same, but I think those differences are
19 in the scheme of things small and all the
20 regulators are really trying to do the same
21 thing.

22 And therefore, by looking at what other
23 regulators have done that could be a useful
24 source of evidence or it could throw up something
25 that you might have missed or you might not have
26 paid enough attention to. I mean, it's not
27 totally straightforward and you have to pay
28 attention to the "units" issue. You know, if the

1 AER is really working in terms of a real vanilla
2 WACC or real return on equity, when you look at
3 the decisions of the other regulators, you have
4 to make sure to line them up apples to apples as
5 best as you can. But I still think that that can
6 be a useful exercise

7 And then finally, to the extent that you
8 haven't already used alternative models, if you
9 have not used a DGM to set the MRP, if you've
10 just used a standard CAPM, then you can use
11 another model as a cross check. But actually
12 I think the best thing is to have used multiple
13 models in the first place.

14 And just finally, I would emphasise that
15 I think these cross checks can contribute to
16 greater transparency because it's another way of
17 sort of explaining and testing your thinking.

18 Thank you.

19 MS BRAKEY: Thanks, Toby. Jim?

20 MR HANCOCK: Thanks, Anna. Okay. So firstly, on the
21 role of cross checks, I see their role as being
22 to test the robustness of the ultimate WACC and
23 return on equity, but also to pick up on
24 mis-specification of other building blocks. And
25 they provide a high level counterpart to the
26 checks that are carried out at the level of
27 individual parameters.

28 And they provide the AER with a warning if

1 the WACC or return on equity values seem
2 anomalous from an overarching perspective. Also,
3 they would help to pick up situations when
4 measurement errors in CAPM are compounding and
5 reinforcing each other in one direction
6 particularly to produce an extreme value.

7 How can they be used? Firstly, it's
8 important to be clear about the logic of the
9 proposed cross check. You need to articulate how
10 the cross check identifies an anomaly, and you
11 also need to think carefully about whether a
12 possible anomaly can be rationalised on grounds
13 other than an error in what's in the regulatory
14 proposal for the return on equity.

15 You need to canvas the range of factors that
16 affect the cross check parameter. So you have to
17 think about whether all the confounders that
18 could affect your measurement of the cross check
19 have been identified and controlled for, and that
20 will be hard to do in many cases. And you have
21 to think about how reliable the estimate of the
22 cross check indicator is. You then need to
23 communicate the use of it clearly, and ultimately
24 broad judgement is going to be needed to support
25 the use of any cross check. So it's not
26 realistic to think that a cross check can be
27 translated into a predetermined mechanical
28 decision rule.

1 And then I think use of broad judgement and
2 changes in judgement needs to be explained.

3 So I think the AER should continue to
4 consider the use of cross checks that appear to
5 be informative. And it shouldn't let the perfect
6 an the enemy of the good. So it shouldn't
7 exclude a cross check because it's imperfect, but
8 also it shouldn't include a cross check just for
9 the sake of having it. The interpretation of the
10 cross check needs to be clear, and they can only
11 be used for sense check and not formulaically.

12 Coming to financeability, I think on this
13 issue the discussion in Frontier's piece gives an
14 interesting insight on the difficulties of using
15 financeability as a cross check. As we know,
16 over the last few years, the interest rate on
17 government bonds has fallen to historically low
18 levels. And as Frontier says:

19 *As a result, the nominal rate of*
20 *return on equity is lower than any*
21 *previous AER allowance, lower than the*
22 *allowances of comparable regulators*
23 *and lower than the allowances that*
 would otherwise have been in the
24 *absence of the RBA's unconventional*
25 *approach to monetary policy through*
26 *the pandemic.*

27 And Frontier go on to cite some important
28 practical implications for networks from this.
They say that the current regulatory allowance
for the benchmark firm implies a negative cash
return to equity and that credit ratings are at

1 risk.

2 This may well be true for a firm that did
3 not hedge its exposure to the bond rate, but
4 firms know that the return on equity is
5 calculated with reference to the bond rate and
6 could hedge against their exposure to it and
7 against their exposure to very low bond rates.

8 In many cases, they may have chosen not to
9 do so. But if that's the case, and accepting
10 that that firm may have a financeability problem,
11 it's not clear to me that that should be
12 something that should be corrected through the
13 allowed rate of return.

14 So it's possible that the owners of that
15 business may have to wear a loss based on the
16 decision not to hedge and based on the market
17 having moved against them. It's possible that
18 they may have to recapitalise or in an extreme
19 situation it's possible even that the lenders to
20 that entity may have to take a clip on their
21 loans to that entity. But that doesn't mean
22 necessarily mean that the underlying assets are
23 nonviable. It simply means that the owners and
24 the lenders to the owners have taken a loss on a
25 particular position they took on not hedging.

26 And so, if we looked at a financeability
27 metric, we would see the problems that a firm
28 might be in. But what we don't know is whether

1 those problems are due to the rate of return
2 being set wrongly or if they are the outcome of
3 decisions that are discretionary to the firm.

4 So I think before you can use a
5 financeability metric, it's going to important to
6 really sort of get on top of sterilising the
7 metric to remove those factors and it may not be
8 possible to do that.

9 On the multiples of the regulatory asset
10 base, I think this is an approach that would work
11 in an idealised world where we can observe market
12 prices of the regulated networks in isolation
13 without any nonregulated parts stapled to it. We
14 would also need to be able to exclude the legacy
15 of past discretionary decisions by the network
16 owner, so decisions about dividend distribution
17 and capitalisation and so on.

18 In an ideal world, we could do that. In
19 practice, it's going to be very difficult to do
20 it in a robust way because of course firms that
21 don't, and the databases that we have about them
22 don't fit that.

23 Now, a possible alternative is calculating
24 the so-called enterprise value concept. But it
25 seems to me that that also is potentially
26 difficult to do. The enterprise value
27 calculation needs to exclude the value of
28 unregulated components, and if you have

1 unregulated parts of a business and regulated
2 parts of a business bundled in the same reporting
3 entity, it may be very difficult to actually get
4 a robust valuation of the unregulated parts to
5 strip them away from the regulated parts. This
6 is going to be challenging to do. If you can do
7 it properly then yes, it's useful.

8 Just as an aside, there seems to be some
9 concern about control premia. It's not clear to
10 me that control premia should be adjusted away.
11 To the extent that there are control synergies
12 then it would be efficient for firms to realise
13 the benefits of them and the efficient firm could
14 then pass them on to consumers via a lower rate
15 of return. So it's not clear to me that control
16 premia should be stripped out.

17 And finally on this, even if we become
18 confident from a multiple that the regulatory
19 allowance is excessive, it still doesn't
20 immediately follow that it relates to the rate of
21 return. It may be some other building block is
22 wrong, such as OpEx.

23 And so, I think RAB multiples may be useful
24 as a cross check if you can calculate them
25 properly. I suspect that subliminally they have
26 probably given the AER some reassurance over the
27 last decade or so as it has adjusted down
28 regulatory rates of return. I think what's

1 around on the RAB multiples has probably given
2 them some comfort over that. And really, I guess
3 that is sort of a de facto cross check, giving it
4 some reassurance about the direction it's taken.
5 But of course the decisions that it has taken
6 about the allowed rate of return on equity
7 ultimately come back to decisions about the CAPM
8 parameter values, and it looks at that RAB
9 argument and from that takes the comfort that
10 it's not wrong in reducing the regulatory rate of
11 return.

12 Finally, on persistent outperformance and
13 how it might be considered, persistent
14 outperformance is suggestive that the regulatory
15 allowance has been too generous. But before you
16 reach a conclusion, you need to think about
17 whether the performance that is there reflects
18 idiosyncratic return impacts. For example, if
19 we're thinking about the regulated entities
20 collectively then movements in interest rates
21 might be observed broadly across firms in the
22 sector to have a particular impact. So you would
23 need to think about how to allow for that.

24 For incentive compatibility reasons, any
25 assessment of outperformance should be done at a
26 whole sector level and not at the firm level.
27 And once again, outperformance, while it shows up
28 in the rate of return, it may come back to

1 another building block. And so really I'd say
2 that if you think there is outperformance, what
3 it does is sends a message to go back to the
4 building blocks and look at them and think about
5 whether one of them is excessively high or low.
6 Thank you, that's it.

7 MS BRAKEY: Thanks, Jim. Did any other experts want
8 to chip in at this point? Dinesh?

9 MR KUMARESWARAN: I'll chip in. I agree with almost
10 everything that Toby said. So I agree with him
11 that RAB multiples conceptually are a good idea
12 but in practice provide the AER with almost no
13 useful information. In fact, let me not say
14 "almost". No useful information in practice.

15 And that is just because for the reasons
16 that Toby and Jim have outlined. There are
17 things contained in the enterprise value
18 component of the RAB multiple that have nothing
19 to do with whether the allowed rate of return is
20 reasonable or not. So I don't think that the RAB
21 multiples are a useful cross check, and I can
22 explain that in a bit more detail if you like.

23 I also agree with what Toby said about
24 profitability. It seems to me that there are
25 lots of practical problems with using
26 profitability to inform the reasonableness of the
27 allowed return in future periods. First of all,
28 how confident are we that the profitability

1 information that we have on the business is
2 reliable? There are all sorts of practical
3 problems like cost allocation that go to
4 calculating a measure of profitability. So we
5 have to be confident that the information is
6 correct. But even if we had good historical
7 information about profitability, that doesn't
8 really tell us anything useful about expected
9 required returns, and that is essentially what
10 the AER requires or what the AER needs to know.

11 I also agree with Toby that other
12 regulators' decisions would be a useful cross
13 check, and for the reason that he said, that
14 other regulators are essentially engaged in the
15 same task as the AER. There is some discussion
16 in the omnibus paper that the regulatory task of
17 regulators around the world might be different.
18 But in my experience they are all engaged in
19 essentially the same task, which is to promote
20 economic efficiency. And how that translates
21 into setting of the allowed return is to estimate
22 the efficient market cost of capital.

23 So all regulators are essentially trying to
24 do the same thing. Now, I think one reason to
25 look at other regulators' decisions is because
26 they might be using different data and models and
27 methods to the AER. The AER goes through a
28 process of determining the data that it uses, the

1 models, the methods and so on. But it might make
2 a mistake. And to the extent that other
3 regulators are doing something different and
4 producing different results, that's useful
5 information for the AER. Particularly, if the
6 AER was in the middle of the pack I think that
7 should give the AER some comfort. But if it was
8 an outlier at either of the extremes, much lower
9 than other regulators or much higher than other
10 regulators, I think that should give the AER some
11 pause and say, "Well, let's revisit the methods
12 that we're using, the data and the models, to see
13 whether there's something about our method that's
14 producing outlying allowances."

15 Now, on financeability, I think I have a
16 slightly different take on what financeability
17 means, to both Toby and Jim. The concept of
18 financeability was first developed by credit
19 rating agencies. So they basically look at the
20 cash flows, the actual cash flows of a company,
21 and try to figure out whether there's enough cash
22 flow generated by these types of businesses to
23 meet the business's debt obligations with
24 sufficient headroom to maintain a certain credit
25 rating. That's how credit rating agencies and
26 debt investors will be thinking about it.

27 Regulators have taken that concept that was
28 developed by credit rating agencies and adapted

1 it to a regulatory setting. And it's quite
2 different to the way that Toby and Jim have
3 described it. The way I think about these
4 financeability tests in a regulatory setting is
5 essentially a check on the internal consistency
6 of the regulatory decision. So what do I mean by
7 that? When the regulator sets an allowed rate of
8 return, it makes a determination about a
9 benchmark credit rating, a benchmark cost of debt
10 and a benchmark level of gearing for the
11 business.

12 So what the regulatory financeability test
13 tries to do, it's all done on a benchmark basis.
14 The test is asking, are the regulated cash flows
15 sufficient for this benchmark business - not the
16 actual business being regulated, but the
17 benchmark business modelled in the post-tax
18 revenue model - to generate sufficient cash flows
19 to maintain the credit rating that was assumed
20 when setting the allowed rate of return?

21 If the allowed cash flows are too low to
22 maintain that benchmark credit rating that was
23 adopted when setting the allowance in the first
24 place then there's an internal inconsistency in
25 the regulatory decision that needs to be
26 addressed. That's the way these benchmark
27 regulatory financeability tests have been applied
28 by regulators in the UK, by IPART, the Essential

1 Services Commission, by ESCOSA and lots of other
2 regulators in Australia.

3 The key thing to understand is none of the
4 information that's used in the financeability
5 test actually comes from the actual business.
6 All of the information - revenues, cost,
7 gearing - all of the information that is relevant
8 to compute the metrics in these tests come
9 directly from the regulatory model. The
10 implication of that is that if there is a
11 financeability problem that's identified, the
12 cause of the problem must be the way the
13 regulatory allowances have been set.

14 And to the point that Toby and Jim made,
15 there are generally two reasons why a business
16 might fail the regulatory financeability test.
17 One is that the depreciation allowance is too
18 low. That is, the return on capital is just too
19 low; it's just not getting enough cash flow in
20 each regulatory period. The other possible
21 explanation is that the allowed return on equity
22 is set too low.

23 Those are the only two possible reasons why
24 a business may fail a regulatory financeability
25 test. There may be other reasons like financing
26 decisions that may cause an actual business to
27 fail the test run by a credit rating agency, but
28 a regulatory financeability test can only be

1 failed for those two reasons.

2 And so, what that means is if we find a
3 failure of such a test the solution must be to
4 change the regulatory allowance, either to change
5 the depreciation allowance or change the return
6 on equity allowance. There's no question that
7 the actual business changing its gearing
8 structure or adopting a different borrowing rate
9 or something like that could solve the problem.
10 The source of the problem is a regulatory
11 problem. I'll stop with that.

12 MS BRAKEY: Thanks, Dinesh. But that does apply to
13 the benchmark test only, not if you try to apply
14 it to an actual test?

15 MR KUMARESWARAN: That's right. The only regulator
16 that I've seen who has tried to apply the test to
17 the actual business is IPART. All other
18 regulators, as far as I'm aware, that run these
19 sorts of tests do it on a benchmark basis. And
20 that's been the proposal here, that the test be
21 conducted on a benchmark basis rather than for
22 the actual businesses.

23 MS BRAKEY: Yes. Jonathan?

24 MR MIRRLEES-BLACK: Thank you, Anna. I have got
25 comments both on the RAB multiple and also on
26 financeability. So dealing with RAB multiples
27 first, and I think the question around whether
28 they can be used, it might be an empty question

1 really to the extent that in future years we may
2 not have any data from which to draw any
3 inferences.

4 And so in which case, we don't want to spend
5 too much time on that. But I think it's fair to
6 say that, as with other measures we were talking
7 about, it can be hard to do the calculations to
8 get an appropriate RAB measure. But that doesn't
9 mean to say that we can't do that. We can do
10 that. We can make the adjustments to get an
11 appropriate EV [enterprise value] for an
12 appropriate RAB, and we can make the appropriate
13 adjustments to the RAB itself.

14 The second thing about that is we should be
15 totally unsurprised at the moment that RAB
16 multiples are in excess of one. And one of the
17 important reasons for that is that the AER uses a
18 trailing average cost of debt approach, which
19 effectively gives companies an asset which gives
20 them higher debt returns. Like, it gives -
21 interest costs allow for previously higher
22 interest rates than the current. And so
23 therefore the market value of that asset is
24 higher than the book value in the RAB. So that
25 asset value from the promise that the AER gives
26 with the trailing average cost of debt means that
27 at the moment when we have falling interest
28 rates, RAB multiples should be above one and we

1 should expect that. Likewise, we might expect
2 lower RAB multiples in an environment where
3 you've realised RAB multiples in an environment
4 where interest rates are beginning to rise over
5 time.

6 Given all these uncertainties, I think we
7 would say - let's suppose the EV to RAB multiple
8 was 0.5, I think we'd say that we had a problem.
9 We probably weren't giving the companies enough
10 money. If the EV to RAB multiple was above 2,
11 we'd say probably that there's a problem. Now,
12 it may not be an allowed return; it may be
13 allowances.

14 So at extremes I think we can say it
15 measures something, and then in the middle it
16 requires nuanced judgement and hard work to
17 assess it. But as a cross check, I think we can
18 say, "I think it's there's value in that." And
19 financial market practitioners use these
20 multiples all the time. They make judgements and
21 decisions on that basis. And you can look at in
22 opinions in terms of valuations, EV to RAB
23 multiples are used as terminal value assessments,
24 as judgments about where practitioners think that
25 returns will be in future, a combination of
26 returns and outperformance against regulatory
27 expectations.

28 So not a perfect measure, shades of grey in

1 interpretation. Is it useful as a guide to
2 something? For sure. Is it the sole guide? No.
3 Will we have enough information in the future to
4 make use of it widely? Probably not in Australia
5 because of the absence of - the number of
6 companies. So that's what I would say on RAB
7 multiples.

8 Secondly, on financeability, I think it's
9 important with financeability to notice that the
10 notional gearing that Dinesh was referring to,
11 it's something which is used to measure the cost
12 of capital. And it's used as a - we measure, we
13 look at the gearing and we try and make sure that
14 we've got equity beta which is consistent with
15 the notional gearing that's set. And we
16 calculate a cost of capital based on a weighted
17 average assuming that notional gearing.

18 And that's it. There is no promise from the
19 regulator that that gearing - that you need to be
20 able to deliver your overall cost returns at that
21 gearing. That may not be appropriate. In a
22 normal, competitive business, gearing changes
23 dependent on appropriate capital. You know,
24 what's future capital spending plans? If capital
25 spending goes up, naturally gearing goes down
26 because companies' responsible management will
27 want to make sure that they can accommodate that,
28 and, as you suggest, maintain an investment grade

1 credit rating.

2 And this is natural. Dividend policy and
3 capital management balance depend on what you
4 expect future investment programs to be. And
5 that's not to do with the notional gearing. The
6 notional gearing is purely used to measure. And
7 that tells you what the cost of capital is.

8 And we also know that the approach that the
9 AER uses, the allowed return is not hugely
10 dependent on what the actual gearing, notional
11 gearing, is chosen to be. So companies can do
12 things to manage their debt and manage debt
13 costs, choose their level of gearing to do
14 something that's appropriate.

15 Dinesh said there's only two reasons why a
16 company might be breaching the debt ratios at the
17 notional gearing. It could be that the notional
18 gearing isn't appropriate for that company with
19 that particular capital program, because it's not
20 a benchmark entity.

21 MS BRAKEY: Thanks, Jonathan. Graham?

22 PROFESSOR PARTINGTON: I have to say, tour de force,
23 Jonathan. I agree with practically everything
24 you said. But I have a procedural question. And
25 that is, there's a list of questions here and I
26 had thought we would go through them seriatim,
27 rather than each of us give our views on all of
28 the questions all at once. And what would you

1 like us to do?

2 MS BRAKEY: Look, probably now that we're on this
3 path, go through all your answers, I think,
4 Graham.

5 PROFESSOR PARTINGTON: I could be going for some
6 time. Okay. Let's start with something that
7 Dinesh said about benchmark leverage. Now, if we
8 accepted most of Dinesh's argument, one could
9 just say, "Well, obviously the benchmark leverage
10 is set too high. It's not really the efficient
11 benchmark." That leverage number is really a
12 fairly arbitrary number, and as Jonathan has
13 pointed out, your weighted average cost of
14 capital with a plain vanilla WACC is going to be
15 insensitive to what value of leverage you choose.

16 The reason for choosing a benchmark leverage
17 is the problem that they have in the
18 United States in some jurisdictions where they
19 use the leverage that the company actually has.
20 And of course what does that lead to? That leads
21 to gaming. So companies game their leverage
22 ratios in order to increase their allowed rate of
23 return.

24 So the solution to that is you set a
25 benchmark leverage ratio and then you let the
26 companies do whatever they want to do that they
27 see in their best interest. So I just don't
28 accept Dinesh's characterisation that it must be

1 a problem with your allowances or your rate of
2 return.

3 While we're on financeability, I think -
4 consistent with Jonathan - the management of
5 solvency is a problem for the management of the
6 firm. It's not something that is the
7 responsibility of the AER. Also, this so-called
8 "solvency test" is a hypothetical. It's a
9 hypothetical based on, in most cases, less than
10 half of the information that the credit rating
11 agency would use in order to form its assessment
12 of the credit risk.

13 Firms can manage their solvency by changing
14 their capital structure and by changing their
15 dividend policy. Indeed, they can if they wish
16 have their dividend reinvestment plan
17 underwritten so they have a guaranteed sum coming
18 back into the company. They could have
19 precautionary holdings of listed assets. I could
20 go on and on. The point is it's up to firms to
21 manage their solvency, not the AER. I think
22 maybe it would be better if I reserve some of my
23 other comments until we have heard what other
24 people think on the issue of financeability and
25 then RABs and so on.

26 MS BRAKEY: Okay. Thanks, Graham. Glenn?

27 DR BOYLE: I'm immediately going to do not what
28 Graham suggested, but general comments really on

1 things that have already been said. And it could
2 be argued I shouldn't say anything at all
3 because, really, I'm just going to kind of repeat
4 in different ways, I think, the overall view
5 that's already come through that there's a fair
6 bit of scepticism about these cross checks.

7 I think of them this way. It's a bit like
8 paying an awful lot of money to buy a very
9 expensive supercomputer in order to answer a very
10 complex problem, and then finally having got an
11 answer to it, nipping down to the local museum to
12 check out the slide rule to check it. It's kind
13 of the opposite of superfluous precision; it's
14 more like superfluous un-precision. So that's
15 kind of my starting point.

16 I think Jim's comment that cross checks
17 should only be used for sense check and not
18 formulaically is pretty much right on the money.
19 It's very difficult for me to see how in almost
20 all cases any of these could be used in any way
21 formulaically. And how do they be used as sense
22 checks? Well, this has sort of been alluded to,
23 but what we have with each of these cross checks
24 is basically a range of allowable values.
25 Basically, there's a confidence interval. And
26 that confidence interval will reflect the
27 uncertainty and all of the other factors that
28 could potentially affect these cross check

1 variables that have nothing to do with the
2 allowed rate of return. So there will be an
3 upper bound and a lower bound.

4 Now, the trouble is in most cases even
5 though we know in principle how to quantify
6 these, we are not going to be able to quantify
7 them in principle. We don't know what they are,
8 but we do suspect that they are likely to be
9 wide. I think Jonathan mentioned 2 and 0.5.
10 Maybe that's right; I have no idea. But I think
11 the point is, whatever it is, we can only use
12 these things to identify extreme problems. There
13 is going to be a whole mass in the middle where I
14 think essentially just looking at it from a
15 hypothesis testing point of view, you really
16 can't say anything. You can't reject the null
17 that in fact there is no problem here. And so
18 that's a problem with even using them as sense
19 checkers.

20 One exception to this, and I think Dinesh
21 has alluded to it and he wrote about it in the
22 note that he circulated, is one sense check that
23 I think the AER has rejected. And that's the use
24 of other regulators. Now, I think there's two
25 roles here. And I'm sure the AER does the first
26 one anyway. It looks at the process followed by
27 other regulators and it adopts or rejects as the
28 case may be, depending to their own judgement.

1 So that probably already goes on.

2 But I think you can do a bit more than that,
3 at least with Australian regulators. Australian
4 regulators are all trying to do basically the
5 same thing. They estimate the allowed rate of
6 return, appropriate allowed rate of return for
7 Australian regulated networks. Now, this is
8 classic Bates and Granger: You've got a whole
9 bunch of different estimators, methods and data,
10 probably, all being chucked at what is
11 essentially the same problem. And what we know
12 from Bates and Granger, and this is kind of what
13 Martin and I were arguing about last week, is
14 that you can get a better quality estimator by
15 combining those.

16 Of course AER should, I think, have most
17 confidence in its own process, but that doesn't
18 mean it should give no weight at all to the
19 estimates arrived at by other Australian
20 regulators using their own estimators, that is,
21 their own models and data. And in a net way, as
22 I said, following (indistinct) Bates and Granger
23 and maybe get a better quality estimate of the
24 overall Australian allowed return. Where I
25 disagree with Dinesh is extending that to foreign
26 ones, in the Cocker Spaniel area. We're trying
27 to average basically different estimates and we
28 come up with an estimate of some kind of world

1 allowed rate of return, but that's not what we're
2 interested.

3 The only other thing I'll say is if the AER
4 is going to continue to calculate and analyse,
5 look at these cross checks, there needs to be a
6 limited number. If you keep expanding the number
7 then eventually you're going to get one that
8 shows up as a red flag purely by chance even when
9 in fact there is no issue at all. So keep the
10 number small and as I say, mainly to be used, as
11 Jim says, as sense checks rather than
12 formulaically. Thank you.

13 MS BRAKEY: Thanks, Glenn. I'm not sure how everyone
14 else went then, but I think that might have been
15 our first little experience of not great
16 connection. So I could hear what you said either
17 very slowly or very quickly. Anyway. Over to
18 Dinesh.

19 MR KUMARESWARAN: I was waiting for Glenn to bring up
20 Cocker Spaniels and he sure delivered. I think
21 one of the problems with using other Australian -
22 I'm not suggesting that the AER shouldn't look at
23 other Australian regulatory determinations.
24 I think that's a reasonable thing to do. But one
25 of the problems with restricting yourself to just
26 that cross check is the observations are not
27 really independent. There seems to be a tendency
28 for Australian regulators to refer to each

1 other's decisions and methods, and there are some
2 regulators who determine their parameter
3 estimates by simply averaging the estimates
4 produced by other regulators. So what you might
5 end up with is a set of circular references.
6 That's not really a proper cross check.

7 So I think a good circuit breaker would be
8 to consider truly independent estimates, and that
9 would be to look at what other regulators are
10 doing overseas. And I'm not suggesting that the
11 AER should give really material weight or throw
12 out its entire estimate just on the basis of what
13 other regulators are doing or indeed
14 formulaically try and match its regulatory
15 decisions to what other regulators are doing.

16 All I'm suggest something that if you look
17 at the array of estimates produced by other
18 regulators and then the AER's decisions look out
19 of line, either too high or too low compared to
20 those decisions, well, that is a red flag to just
21 pause and say, "Well, are our decisions
22 reasonable?"

23 And I guess one reason for that is because,
24 as Martin keeps saying, capital is
25 internationally mobile. And so investors can
26 look around all over the world and see where they
27 want to put their money. So it is a relevant
28 consideration if other regulators or other

1 jurisdictions offer much higher returns or much
2 lower returns than the AER's determinations
3 offer.

4 MS BRAKEY: Thanks, Dinesh. Graham, back to you.

5 PROFESSOR PARTINGTON: Just on regulators, there's a
6 whole raft of reasons: Assets, market, taxes,
7 objectives, methods, which would drive
8 differences. And, you know, I would expect
9 differences of 1 or 2 per cent would be
10 absolutely normal.

11 But there is something else that nobody's
12 talked about, and that is that differences across
13 regulators can be driven by the extent of
14 regulatory capture. All regulators are captured
15 to some extent. So, you know, if you
16 compare X and Y, it may be the difference is just
17 that Y has been more heavily captured by the
18 industry it regulates. So a little bit of
19 caution is required. I think the AER's
20 suggestion of what the AER does actually,
21 comparing methods, has merit. Comparing
22 magnitudes? Pretty dodgy.

23 Now, let me talk about profitability
24 measures, because that's something that hasn't
25 really got a lot of attention and I think I can
26 shed some light on that. So let me begin with a
27 story. Accountants in the game of business
28 aspire to be players or at least umpires. They

1 were, however, relegated to the humble office of
2 scorekeepers. Their revenge for this unmerited
3 ignominy was to keep the score in such a
4 mysterious way that no-one could determine the
5 true state of the game.

6 I have a serious point here, and that is
7 that economic and accounting concepts of income
8 are fundamentally different. So we don't
9 recommend you do regulation based on the
10 accounting return on equity or the accounting
11 return on assets. In finance, we advise
12 companies not to use the accounting return on
13 assets for investment decisions. And there's a
14 very good reason for that: It has nothing to do
15 with either the rate of return that investors
16 earn or the rate of return that they actually
17 require.

18 There is quite an extensive literature which
19 tries to get at investors' returns by computing
20 the internal rate of return implied by accounting
21 data. There is quite a lot of this literature.
22 I'm sorry to say, the results for extracting
23 investor rates of returns from accounting data
24 are not encouraging. I would also say one other
25 thing would happen if you started using
26 profitability as a measuring stick. You know,
27 you might actually manage to get to something
28 useful for a while, but very quickly it would

1 stop working. Why would it stop working?
2 Because accounting profits are quite easy to
3 manipulate. Therefore you would get gaming. And
4 indeed, you will find reports that suggest that
5 monopolists do adopt income reducing policies so
6 they appear to be less profitable than they
7 really are.

8 Now, in accounting they sometimes say you
9 can run but you can't hide. What that means is
10 so you use discretionary accruals to reduce your
11 profitability. They eventually flow back
12 through. Expenses are higher now, but they end
13 up being lower later. However, you can run for a
14 long time then take a big hit to your strategy,
15 and then start running again. So even if you
16 could do the job with profitability, it's not
17 going to work.

18 MS BRAKEY: Thanks, Graham. Clare, did you want to
19 change directions or should I go to James and let
20 him?

21 MS SAVAGE: No, I thought I had a question that was
22 bringing together Glenn and Dinesh's points, but
23 I'm happy for you to go to James and I'll come
24 back.

25 MS BRAKEY: Okay. James?

26 MR HANCOCK: I was continuing on from Glenn and
27 Dinesh's points as well, and particularly the use
28 of overseas decisions as a cross check. If we

1 look at the Brattle work, which compares across a
2 number of regulators around the world, and the
3 two in North America have a sort of - so the
4 Federal Energy Commission has a just and
5 reasonable rate and the Service Transportation
6 Board has reasonable maximum rates where no
7 competitive alternative exists.

8 Now, those are potentially a very different
9 objective from efficiency. And coming back to
10 Graham's comment with regulatory capture,
11 potentially what you have here is legislative
12 capture in the US that has set up a regulatory
13 regime that is highly protective of asset owners.
14 And so we see those very high rates of return in
15 the US. What do they tell us that's useful in
16 Australia? Probably nothing.

17 MS BRAKEY: Thanks, James. I guess one observation
18 is when I think about the regulatory regimes in
19 Australia, they do tend to have the long-term
20 interests of customers or end users in one way,
21 shape or form as a common objective. But I take
22 the point that there could be other legislative
23 constraints on those decision makers. Clare?

24 MS SAVAGE: Thanks, Anna. So my question was a
25 little bit just reflecting on Glenn's comment
26 about the supercomputer and the slide rule and
27 then Dinesh's suggestion about the information
28 content of cross checks. And I'm probably just

1 kept to understand, Dinesh, from you, if we got
2 to a place where we said this is telling us
3 something after we have independently estimated
4 each of the variables of the CAPM, what would we
5 do about it?

6 MR KUMARESWARAN: I think that's good question. It
7 sort of depends what the cross check is. So
8 I think take the financeability test or the
9 regulatory financeability test. I think earlier
10 there was a bit mixing up of the regulatory
11 financeability test and actions that an actual
12 business can do. That's not relevant.

13 If you run the regulatory financeability
14 test and there's a failure of that, then as a
15 said before, there's only two possible
16 explanations for that. One is that the
17 regulatory depreciation is too low and the other
18 is that the return on equity allowance is too
19 low.

20 If the AER is satisfied that the regulatory
21 depreciation allowance is fine, it is reasonable,
22 that zeroes down on the return on equity
23 allowance. And as Glenn quite rightly said,
24 there can be quite a wide range around the
25 possible estimates or the point estimate for the
26 return on equity. The AER doesn't typically set
27 that out quite explicitly, but other regulators
28 do. And so, one option would be to exercise some

1 judgement about where you go in that range.

2 Another option would be to re-weight your
3 estimates from different types of models in a way
4 that would address the problem. That's one
5 example from financeability.

6 I think there's a similar thing with
7 comparisons with other regulators. So you can
8 look at the regulatory determinations and ask,
9 "Are we out of line with the overall WACC or are
10 we out of line with the return on equity?" Then
11 look at those individual parameters and think
12 about the judgements that have been made to
13 estimate those individual parameters that go to
14 the return on equity or the return on debt.

15 So I think the way these cross checks
16 I think could be applied is to throw up some
17 questions and help the AER diagnose where there
18 might be a potential problem in the decision. At
19 the end of that process, the AER might conclude,
20 "Actually, we think the determination is fine."
21 But then there would be a task of explaining why
22 it's consistent with the cross checks.

23 MS SAVAGE: The financeability example that you raise
24 might suggest that it's a cross check on the rate
25 of the return on equity rather than the rate of
26 return.

27 MR KUMARESWARAN: Yes, yes, the reason for that is
28 because the way the regulatory financeability

1 test works is that there are some assumed -
2 there's a cost of debt allowance, so that's the
3 regulatory cost of debt allowance. And then
4 there are also some interest costs. And those
5 interest costs and the regulatory financeability
6 tests are assumed to be equal to the return on
7 debt allowance. So those two things just wash
8 out and that can't possibly be an explanation for
9 the failure of the test. So the only thing that
10 can drive the cash flows is the return on equity.

11 MS BRAKEY: Or depreciation?

12 MR KUMARESWARAN: That's right. So likewise, things
13 like OpEx, the OpEx allowance is assumed to be
14 equal to the OpEx incurred by this benchmark
15 efficient entity. That's the logic of the
16 post-tax revenue model. So those two things
17 cancel out. So it can't be differences in OpEx.
18 When you work through the algebra, it just boils
19 down to the depreciation allowance and the return
20 on equity. Those are the only two things left.

21 MS BRAKEY: Jonathan?

22 MR MIRRLEES-BLACK: I was going to say, first of all,
23 it's not the only two things. If you look on a
24 industry level, and I think Graham emphasised
25 this, the notional gearing may be wrong. It may
26 be wrong for the industry and may not be
27 depreciation. It could be the depreciation, it
28 could be the rate of return on equity, it could

1 be the notional gearing. It's not just those
2 two. So I think that's important because the
3 benchmark efficient entity, which is used to
4 measure the cost of capital, may not have the
5 capital investment depreciation of other profiles
6 that the actual industry has in terms of the way
7 that you're - because all you're doing is using
8 it to measure the cost of capital.

9 So let's set that aside for the question
10 that Clare made, which is what do you do about
11 it? What you do about it, if a cross check says
12 that you've got a possible problem and it looks
13 like your rate of return may be too high or too
14 low compared to the cross check, it comes to what
15 we were saying this morning. There's a huge
16 amount of uncertainty about the estimates for the
17 MRP and, from the previous sessions, for beta.
18 So there is other things.

19 This is a dangerous model to be applying and
20 to believe every parameter of, because there are
21 those levels of uncertainty. And so I think one
22 has to take the assumption that if a number of
23 different cross checks point you to the fact that
24 your cost of equity assessment is too high or too
25 low, you have to look very hard about your
26 estimation.

27 And also I'd say, think about what's going
28 on in the market now? So look at what

1 expectations investors have from what other
2 things are going on. Are investors keen on
3 investing in safe assets? Has that attitude
4 changed and is it likely to change? What are the
5 expectations about inflation and other variables
6 and think about what those mean. That's what
7 others in the market would be doing.

8 MS BRAKEY: Dinesh, did you want to respond to
9 something that Jonathan just said?

10 MR KUMARESWARAN: Yes. I just wanted to make the
11 point that in the regulatory benchmark
12 financeability test, gearing does not affect the
13 outcome. So Jonathan's right that the gearing is
14 used to set the return on capital allowance, but
15 all of the debt obligations of the benchmark firm
16 are also based on the assumed level of notional
17 gearing. So the interest costs faced by the
18 benchmark business are based on the level of
19 gearing and so are the principal repayments for
20 debt. So these two things just cancel out. So
21 it doesn't matter if you change the benchmark
22 level of gearing. You can you crank that up to
23 80 per cent, you can crank that down to
24 40 per cent. It won't change the outcome of the
25 test, because those two things just cancel out.

26 MS BRAKEY: Thanks, Dinesh. Jim. I note Graham has
27 got his hand up, so it might be - were you going
28 to change topics, Jim?

1 MR COX: I want to take it to a slightly different
2 direction, so maybe Graham.

3 MS BRAKEY: Maybe I'll go to Graham and then I'll
4 come back to you.

5 MR COX: Thank you.

6 MS BRAKEY: So, Graham?

7 PROFESSOR PARTINGTON: Right. Well, I pretty much
8 agree with what Jonathan just said. But I was
9 just going to make some comments about the RAB
10 multiples. The AER says it is open to trying to
11 decompose the RAB multiples and I think that is
12 probably a worthwhile activity. It will be a
13 difficult thing to do, but it's not necessarily
14 impossible and I think it's worth doing even if
15 there is only a low probability of complete
16 success.

17 Now, this issue of while some of this value
18 is created by outperformance and expected
19 outperformance, well, it's entirely possible that
20 could be a driver of additional value, but then
21 these RABs greater than one are pervasive. So
22 are they saying that outperformance and expected
23 outperformance are pervasive across all these
24 networks? And if that's the case, then might it
25 not be that maybe the efficiency criteria are a
26 bit soft? That's one point.

27 There's another point, which is something
28 that nobody's mentioned, and that's the role of

1 real options. It seems to me quite likely that
2 networks have substantial real options, and those
3 real options are not captured within the
4 framework of traditional NPV analysis. The
5 valuation of real options, well, that is very
6 challenging. And possibly they could be
7 estimated as a residual after you've controlled
8 for everything else. But if in fact there are
9 substantial real options and they have
10 substantial value and those options arise from
11 being a regulated network, the question that then
12 arises is whether consumers should share in that
13 value via price reductions. That's an open
14 question, but I think it's quite an important
15 one.

16 MS BRAKEY: Thanks, Graham.

17 PROFESSOR PARTINGTON: Sorry, can I just say
18 something else about control premiums, which I
19 have studied? The reasons for control premiums
20 are synergy, hubris and agency costs. And does
21 everybody know what those things mean? Synergy,
22 I think we know. Hubris is managers think
23 they're going to get synergy but they
24 overestimate their capacity to do it so that they
25 bid too much, basically. And agency costs are,
26 well, the managers don't care about value
27 creation; they're just building an empire and
28 they don't care what it costs the shareholders to

1 build that empire.

2 Now, it actually turns out from data that
3 I've looked at that mainly it's synergy that
4 drives the premium. Although there is some
5 evidence of hubris and very little evidence of
6 agency. So yes, we can do something about
7 explaining those control premiums. They're not
8 just a black box, "This is a control premium",
9 and therefore there's something magic going on
10 that we can't decompose. Okay, I am done now.
11 Thank you.

12 MS BRAKEY: Thanks, Graham. Jim?

13 MR COX: Thank you, Anna, I was just reflecting on
14 what I'm hearing, really. I just want to confirm
15 I'm understanding it correctly. The first line
16 of argument is what might we use cross checks
17 for. And I think the general agreement is a
18 sense check and not more than that. And I'm sure
19 the AER would agree with that. So that's one
20 line of argument.

21 The second line of argument is if it's going
22 to be a sense check, what cross check should we
23 use? And Dinesh would say financeability, but
24 I'm sort of guessing that most other people are a
25 bit sceptical about that. I think there are
26 divided views on RAB multiples. I think some
27 people think it's useful to pursue that even
28 though it might be difficult, but useful to

1 pursue. Others don't. Financial returns,
2 I think limited appeal. Other regulators,
3 possibly with lots of difficulties.

4 So we have the sort of sense that there's
5 something here that's useful to have as a sense
6 check, but it's really very, very difficult. So
7 where should the AER go, I guess, is what I'm
8 thinking. Anyone wants to respond to that,
9 I think that will be interesting to hear.

10 MS BRAKEY: I think that's a summary of the
11 positions. Did anybody want to add anything to
12 that? No? Okay. I'll move on to Eric.

13 MR GROOM: Thanks, Anna. I guess I'd like to just
14 come back for a second to the practicality of
15 looking at RAB multiples. And I think Dinesh
16 really handily provided a little equation in
17 there, although it's much the same as other
18 speakers were talking about, that value of the
19 enterprise can be decomposed, or underneath that
20 value is a number of streams. Existing revenues,
21 future revenues, outperformance, unregulated
22 revenues.

23 And I guess Dinesh is throwing out the
24 challenge, how would we value those streams? I
25 guess my response would be, what if we were to
26 look at the way in which practitioners did that?
27 And I'm thinking about the expert reports on the
28 valuation of, say, Spark or other takeover

1 targets where essentially the valuer is trying to
2 value those streams, and they look pretty much
3 like the ones you've listed there, Dinesh. The
4 one that perhaps is not there is the
5 outperformance, because it's embedded in the
6 revenue forecast that they make, and the other
7 one that's probably not there is to Jonathan's
8 point, it's the difference between the book value
9 of the debt.

10 I haven't seen that in those valuation
11 reports. But if I go to the KPMG reports for
12 Spark or the - I've forgotten the name of the
13 valuation company that did the other one
14 recently - I can find estimates of those
15 different income streams. So that suggests
16 there's some hope for us, at least at the time of
17 transactions, in trying to decompose a
18 substantial component of that equation you've put
19 for us, Dinesh.

20 MR KUMARESWARAN: Would you like me to respond to
21 that, Anna?

22 MS BRAKEY: Yes, please.

23 MR KUMARESWARAN: My main criticism of the RAB
24 multiples is that typically the AER doesn't have
25 access to that decomposition. If the AER did
26 have access to that decomposition, then fine.
27 But you have to be clear that the numerator is
28 just the expected present value of the revenues

1 that relate to the existing RAB and nothing else.
2 So no outperformance, no recovery of future
3 investments, no outperformance, no unregulated
4 assets and so on. That's the first point.

5 But the second point is if you did have
6 access to that decomposition then in those
7 valuation reports the valuer will tell you what
8 discount rate they have used. So you don't even
9 need to look at the RAB multiple. All you need
10 to do is compare that rate of return or that
11 discount rate, which is their estimate of the
12 required return for the investor, with the return
13 that the AER is allowing. That's the direct
14 comparison. You don't need to look at the RAB
15 multiple.

16 MR GROOM: I guess their report is giving us a
17 methodology. At least I hope we can do it for
18 other regulated businesses as well.

19 MR KUMARESWARAN: If you're going to look at RAB
20 multiples, I think you should look at the
21 valuation provided by the asset owner through
22 some transaction or, you know, some valuer who is
23 assisting in the transaction. Something like
24 that. I'm a bit sceptical about the AER doing
25 the decomposition, because that introduces some
26 scope for error about the discount rate that's
27 used for the discounting of the cash flows or
28 indeed what those cash flows are.

1 I mean, if you had that information then
2 sure, you could just take those things away and
3 be left with the ratio that you're interested in.
4 But typically, you don't have that information.
5 So the only other alternative is to do the
6 decomposition yourself. But that, I think,
7 introduces all sorts of scope for error and it's
8 not a proper cross check.

9 MS BRAKEY: Eric, did you want to ask any follow-on
10 questions?

11 MR GROOM: No. I'd be interested in, I guess, the
12 views of the other experts on that problem
13 because I think it's a real problem for us in
14 terms of searching for what information content
15 is there in the RAB multiples and how can we best
16 uncover and use it?

17 MS BRAKEY: Anyone else? Graham?

18 PROFESSOR PARTINGTON: Obviously, there's merit in
19 attempting to do it. It may be hard. It may be
20 error-prone. You won't really know until you've
21 tried. And you have a model, as Eric said. It's
22 not as if you're wandering out into the
23 wilderness and there's no guidance about what you
24 might do. I think the real options bit could be
25 quite difficult. But then, you know, you could
26 just take that to be the residual.

27 In any event, I think you'd be satisfying a
28 few consumers if you looked at this. They

1 clearly think it is a real issue. So it would be
2 good to see whether you can determine whether
3 it's a real issue or not.

4 MS BRAKEY: Thanks. James?

5 MR HANCOCK: If you're adjusting to get to an
6 enterprise value concept itself, I'd say that the
7 prospects of doing that with a lower level of
8 error will be better when there's a relatively
9 small nonregulated component bundled with the
10 regulated component. The larger the nonregulated
11 component, the more exposed the calculation is
12 going to be to any error on removing the
13 nonregulated component from a calculation.

14 MS BRAKEY: Anyone else? Glenn?

15 DR BOYLE: Yeah. Absolute valuation is hard. Very
16 hard. And it's even harder when you're applying
17 it to subsets of an entity, particularly when
18 those subsets aren't publicly traded or publicly
19 observable. Like Graham, though, I think it's
20 worth doing, worth trying. But my strong
21 suspicion, 99 per cent confidence, is that at the
22 end of the day having stripped everything else
23 out as best you can, you'll get a RAB multiple
24 of - I don't know, pick a number. Say 1.05 or
25 1.1 - and then you'll say, "What's my standard
26 error on that?" Well, you may not be able to
27 quantify it exactly, but it will be big. And so
28 you'll still end up with a wide range in which

1 the true RAB could actually be sitting and you're
2 left in a position, "Well, you know, what do we
3 do here? I don't know whether there's an issue
4 here or not."

5 MS BRAKEY: Dinesh?

6 MR KUMARESWARAN: If I could ask Glenn just to
7 clarify, so the standard error around that RAB
8 multiple, where does that come from? Is that the
9 error that might be introduced through the
10 process of the decomposition?

11 DR BOYLE: Yes.

12 MR KUMARESWARAN: Yes, I agree with that.

13 MS BRAKEY: Catriona?

14 MS LOWE: Thanks, Anna. I supposed just before we
15 leave the issue of RAB multiples, I was
16 interested to know if any of the other experts
17 had comments around this real options issue that
18 Graham Partington has raised?

19 MS BRAKEY: Glenn?

20 DR BOYLE: Yeah, I've done a lot of work on real
21 options over the years. I find they tend to be
22 ubiquitous - people see everything as a real
23 option - and that the actual total value of real
24 options is probably a lot less than the
25 impression you would get from reading about them.

26 But it's certainly possible that network
27 industries have growth opportunities, real
28 options, whatever you want to call them, and

1 these are things that essentially would be part
2 of the stripping out. In some ways, it may be
3 easier. There is reasonably well-established
4 methodologies for valuing real options if you can
5 model the cash flows. Graham's right. It's just
6 another one of the list of things that can drive
7 a wedge between RAB, actual RAB, and its
8 benchmark value of 1.

9 MS BRAKEY: Thanks. What I might do is I might just
10 go to Dinesh if it's on this topic and then I'm
11 going to go to Clare because I think Clare needs
12 to leave early. So whatever she wants to talk
13 about next, I think we'll put that on our list of
14 where to go next. So Dinesh?

15 MR KUMARESWARAN: Just very quickly, yes, real
16 options valuation is hard. Glenn has taught me
17 that. And the other thing is that it seems that
18 what Graham's saying is that there's just one
19 additional thing that might be in the numerator
20 of that ratio that needs to be stripped out, and
21 so we'd need to value that.

22 And that's a difficult exercise. But it
23 could be that a lot of those real options are
24 captured in the value attributed to the
25 unregulated activities, because that's where the
26 growth opportunities will tend to be.

27 MS BRAKEY: Thanks, Dinesh. Clare?

28 MS SAVAGE: I mean, it would depend on the rate of

1 return, though, as well. The growth
2 opportunities might be huge if we've got the rate
3 of return wrong. But I'll put that to the side.

4 Two things: I don't have to leave, Anna,
5 until 4.15, so there's still quite a bit of time.
6 And it's not exactly a plane. But I am
7 fortunately being shadowed this week by one of
8 our very talented network staff. So she's
9 sitting in the room with me.

10 She's a little bit dismayed about the lack
11 of agreement, it would be fair to say, amongst
12 the experts on most things. But she would be
13 keen to understand if there is any agreement on
14 what would actually constitute a comparable
15 regulator. So even if you disagree with whether
16 or not we should be looking at what other
17 regulators do, whether you have some agreement on
18 who might be in that set, that comparator set of
19 regulators. And then separately, I'm quite keen,
20 Anna, to get to the topic of scenarios.

21 MS BRAKEY: Right, okay. Yep, sure. So shall we
22 deal with the comparator set question first?
23 Does anybody have a view on that? Graham?

24 PROFESSOR PARTINGTON: The obvious comparator in
25 Australia would be the ERA in Western Australia
26 doing much the same job. And I think what you
27 would find is yeah, there's a difference, but
28 it's something so do with the methodology that

1 they've adopted. And whether that's helpful is
2 an entirely different question.

3 MS BRAKEY: Thanks, Graham. Does anybody - Dinesh?

4 MR KUMARESWARAN: Well, I guess for overseas
5 regulators I would start with ones that have
6 similar systems of incentive regulation. So the
7 obvious ones would be New Zealand and the UK, but
8 there are other regulators in Europe that
9 regulate in very similar ways. Incentive-based,
10 RAB-based systems of regulation. I'd start with
11 those.

12 MS BRAKEY: Thanks, Dinesh. Anyone else? Glenn?

13 DR BOYLE: Apologies to your network colleague,
14 Clare, because we are about to disagree again.
15 Those are the last ones I'd start with, Dinesh,
16 the overseas ones. I'd start with the domestic
17 ones; I think they are relevant ones.

18 But having said that - I meant to say this
19 before - I totally agree with Dinesh's point
20 before that using domestic regulators is only a
21 useful thing if the AER is the only one doing it.
22 Otherwise, you get locked into this circular loop
23 and so there is no new information being provided
24 to anybody by anybody else's decision. I just
25 thought I'd point that out.

26 MS BRAKEY: Thanks. Toby?

27 DR BROWN: Thanks. Yeah, I guess I'd just say that
28 when we've looked at this, and having been

1 involved in quite a wide range of jurisdictions,
2 you can certainly point to the rules and the
3 legislation being different. I mean, the words
4 are different but it's quite hard to draw a line
5 between those differences and anything that the
6 regulators explicitly say that they are doing
7 differently, in terms of objective, than
8 regulators here would do.

9 And so I think you can cast the net fairly
10 widely. And it's not necessarily bad to look at
11 regulators that have different methods and that
12 will reach different conclusions. I mean, in
13 some ways that's a good cross check because then
14 you can understand the different methods and the
15 results they give. So I'd draw the net fairly
16 widely.

17 MS BRAKEY: Thanks. James?

18 MR HANCOCK: I think when selecting comparators, you
19 want to start at a high level and check some
20 things for comparability. I have already
21 mentioned that I think the two US regulators in
22 Brattle, which use a fair and reasonable or a
23 reasonable test are eliminated for that reason.
24 It's not clear to me that they are pursuing
25 efficiency or community interests as an
26 overarching goal. They may be compromised more
27 towards existing interests of the network owners.

28 And then if you look at New Zealand, my

1 understanding is that New Zealand pitches at a
2 higher percentile. And so again, taking a value
3 from New Zealand, you would need to be wary
4 because they are not actually pitching at a mean
5 best estimate of the rate of return.

6 So I think you would want to look at those
7 sorts of things first of all and exclude people
8 who are inconsistent on that basis. Even though
9 you might still take useful methodological
10 lessons from them in terms of taking their
11 numbers, they have to be excluded on that basis.

12 Then perhaps there are some regulators like,
13 say, the UK that use the Wright approach. And so
14 you might say with the UK, well, okay, at least
15 we think the UK is trying to do something that is
16 pretty much the same as what we're doing, and so
17 we're more willing to think about the UK as a
18 comparator. But the others, I don't know enough
19 of the detail of what they seek to do. But
20 I think in selecting them you actually do have to
21 make judgments and exclude some on the basis of
22 they're not aimed at a long-term interest of
23 consumers/an efficiency objective, as is the case
24 in Australia and is required under the
25 legislation and objective.

26 MS BRAKEY: Thanks, James. Dinesh?

27 MR KUMARESWARAN: A couple of the examples that Jim
28 gave, New Zealand and the UK, the differences

1 that Jim talked about were methodological choices
2 that the regulator has made. I'm not sure what
3 the value of a cross check would be if all of the
4 method adopted by the regulators that you use as
5 comparators just conformed to the AER's method.

6 In fact, my point is that I think it's
7 precisely because they use different methods, so
8 the Commerce Commission in New Zealand chooses a
9 different percentile, the regulators in the UK
10 have adopted a different methodology for
11 estimating the market risk premium. That's
12 precisely why they're useful comparators. It's
13 not because - they shouldn't be excluded because
14 they do something different or follow different
15 methodological approaches.

16 That's why they're useful as cross checks,
17 because the precise methods and choices that the
18 AER might have made may turn out to be wrong.
19 After all, if we agree that all of these
20 regulators are trying to come up with the best
21 estimate of the efficient cost of capital then we
22 should look at the methods that they're all
23 using.

24 MS BRAKEY: Thanks, Dinesh. Jonathan?

25 MR MIRRLEES-BLACK: Just one final thing, just as an
26 additional point which I think is important to
27 comparisons, I echo a lot of what everyone else
28 has said. I think it is important that the

1 regulator genuinely has a requirement to attract
2 capital. There are some regulators where a
3 number of the firms have ownership structures
4 which means that they are not really required to
5 attract capital. So I know with the UK and
6 Australia and others - partly New Zealand -
7 there's private capital, but I think it is that
8 which is important. But also I think it is
9 relevant to think how much capital is needed to
10 be attracted going forward, and so therefore what
11 are the medium term expectations of the need to
12 reward investors for the investment they make?

13 MS BRAKEY: Thanks, Jonathan. I'll go to Glenn and
14 then I'll come back to Clare for part two of her
15 second question. So, Glenn?

16 DR BOYLE: Dinesh, putting your Bayesian hat on, is
17 your prior that the efficient cost of capital is
18 the same in all countries?

19 MR KUMARESWARAN: I think my point is that the
20 investors who are - like, one of the rationales
21 for looking overseas is because investors in
22 these types of assets are global investors.

23 DR BOYLE: So is that a yes?

24 MR KUMARESWARAN: Well, I'm not suggesting that we
25 should use something like the international CAPM.
26 But I do think that, yeah, capital is mobile and
27 investors are looking at where they should park
28 their funds, and they look at the most attractive

1 jurisdictions to invest in. So yeah, I mean,
2 I think the cost of capital is global.

3 DR BOYLE: The point I'm making here is that if your
4 prior is that the efficient cost of capital is in
5 fact the same in all countries then I agree it
6 makes sense to look at multiple countries.

7 I guess my prior is that it's not, and
8 therefore any combination estimate is a hybrid.
9 It's not telling you anything about the
10 Australian cost of efficient capital.

11 MR KUMARESWARAN: Could you not have a situation -
12 sorry.

13 DR BOYLE: So it does depend on what one's prior is.
14 You can look at other countries and look at their
15 methodologies and perhaps be informed by that and
16 say, "Hey, that's a good idea," or, "That's a
17 really bad idea. We shouldn't do that," and
18 build that or not build it into your own, be
19 informed that way. But in terms of numbers,
20 actually giving some weight to the numbers, that
21 really only makes sense if your prior is that the
22 efficient cost of capital is the same everywhere
23 and the observed differences just reflect
24 sampling and model variation. As soon as they
25 start to include intrinsic variation then that's
26 a different ball game.

27 MR KUMARESWARAN: But even if you were dealing with
28 some intrinsic variation between countries,

1 wouldn't there still be a case for giving some
2 weight to what other regulators do? And I'm not
3 talking about in a mechanistic way. So I'm not
4 suggesting that the AER comes up with its
5 estimate and then takes an average of what other
6 regulators are doing and then weights these two.
7 I'm not suggesting anything of the kind. I'm
8 just saying that if the AER's estimates look very
9 out of line with what other regulators are
10 producing, that should prompt the AER to ask some
11 questions about the methods that it's used to
12 estimate the allowed rate of return.

13 DR BOYLE: Then I agree. It's the mechanistic I was
14 objecting to.

15 MS SAVAGE: Dinesh (indistinct) Chihuahuas, I think
16 is the point. I think it's probably worth moving
17 on. And also Jim, Catriona, Justin and myself
18 are all being shadowed this week. So you've
19 probably not given them much hope in terms of
20 becoming AER board members. But perhaps the way
21 forward for us is to let them make the decision?
22 I'm joking; it won't be. It might make it easier
23 for us.

24 I'm really keen to explore the scenario
25 testing as well, because that's something that's
26 been put forward, and it is obviously another
27 form of cross check and I haven't heard much on
28 that today. So I was just interested in the

1 views of experts around the usefulness or
2 otherwise of that and, you know, what scenarios
3 is obviously a question. The ENA has put some
4 forward to us. But just keen to hear you
5 thoughts on that if possible.

6 MS BRAKEY: Thanks, Clare. Who would like to go
7 first on this? Dinesh, would you like to go
8 first, because you're probably familiar with what
9 the ENA has put forward?

10 MR KUMARESWARAN: Well, I think the basic idea is
11 that the AER is making a determination of the
12 methodology for the rate of return and in some
13 cases the parameters, and these might be in place
14 for quite some time, or affect regulatory
15 decisions for quite some time. And if there's no
16 mechanistic way by which the allowed rate of
17 return is updated over that period, then
18 consumers and investors might be stuck with a
19 particular methodology in very uncertain market
20 conditions.

21 So the idea would be to sort of test how
22 different methodologies that the AER might be
23 considering might perform under different
24 plausible market conditions. So one plausible
25 future scenario is that interest rates stay at
26 current levels. Another one is that interest
27 rates rise very significantly. Another one is
28 that they fall even lower than they currently

1 are.

2 Under those three possible scenarios - these
3 are not forecasts, these are just possible
4 scenarios of what might happen in the future --
5 what does the allowed rate of return look like
6 under different methodologies? So it's just a
7 sort of a check on what consumers and investors
8 might face under future states of the world.

9 MS BRAKEY: Thanks, Dinesh. Does anybody else want
10 to comment anything on these scenarios? Glenn?

11 DR BOYLE: Somewhat reluctantly. I'm not a big
12 scenario analysis man, I have to say. I'm much
13 more a fan of simulation and tend to look down on
14 scenarios. So my bias is that when somebody
15 suggests scenario analysis, I always ask whose ox
16 is being gored here and which scenario is it that
17 they want to expose everybody to? So that is a
18 cynical expression of my concern about scenario
19 analysis. Who chooses the scenarios and why?
20 And on what basis? If you undertake a proper
21 simulation analysis, well, you can adjust the
22 parameters. You're not stuck with normality.
23 You can do all kinds of things, but it is more
24 complex, of course.

25 MS BRAKEY: Thanks, Glenn. James?

26 MR HANCOCK: I think scenario testing is potentially
27 informative, but it may actually simply redirect
28 us back to some of the more sort of fundamental

1 in principle questions that we've been asking.
2 So, for example, if one of the scenarios was
3 looking at sort of an extended period of very low
4 interest rates, we'd be left asking, well do we
5 think that the rate of return should be compiled
6 as the sum of the interest rate and the market
7 risk premium or do we want to adopt the point of
8 view that the rate of return on equity is in some
9 sense fixed? And that is something that's been
10 talked about before at an in principle level,
11 only scenario analysis would shine the light back
12 on that but it wouldn't actually answer it.

13 MS BRAKEY: Thanks, James. Dinesh?

14 MR KUMARESWARAN: Yes, I think that's right, Jim. It
15 would just show what the allowed return would
16 look like under different methods. So the
17 existing method of taking the prevailing
18 government bond yield and adding a fixed premium
19 to that, what would that look like under future
20 states of the world? What would the alternative
21 scenario be of combining, say, the historical
22 excess returns with DGM estimates? What result
23 might that produce?

24 And to Glenn's point about whose ox is being
25 gored, well, the scenario testing model that the
26 ENA has made available allows the user to put in
27 whatever scenarios they like. So they're not
28 hard-coded; they can put in whatever scenarios

1 they like and see what happens.

2 I mean, I tend to agree with Glenn that
3 simulation modelling is in some senses
4 preferable. The problem is it's a bit of a black
5 box and it's often very complicated for users.
6 So if we want this to be something that's
7 accessible to consumers and accessible to lots of
8 different stakeholders, we need to make it as
9 simple as possible while still reflecting reality
10 as well as we can.

11 MS BRAKEY: Thanks, Dinesh. Jonathan?

12 MR MIRRLEES-BLACK: Thank you. In principle, it can
13 be useful. And I think the question is what is
14 the purpose of it? What are we intending to get
15 out of it? Because what we'll show by doing
16 scenario analysis is that we end up with
17 different cash flow incomes depending on what we
18 assume. So then the question is, okay, what do
19 we do with that? And I think then it comes to
20 the prior question, which is, well, there are
21 some risks. Who should be bearing those risks?
22 Is that it that those risks are borne by
23 customers? Is it that companies can do things to
24 manage those risks? Or is it that the regulator
25 needs to change the structure around the cash
26 flow returns in order to better give the risk
27 return framework?

28 So it's not necessarily that these things

1 provide input into what the cost of capital is.
2 It's very much a design question as to who is
3 bearing what risk. And I think it applies not
4 just to this financial risk. I would also
5 suggest - and I think this is a valid use of
6 financeability models - is thinking through we
7 want to incentivise companies to do the right
8 thing by companies and investments in managing
9 operations. That means that you have to impose
10 risk on those companies as risk and return, and
11 the question is, well, how large is the variation
12 in cash flows in order to give the incentives
13 that you need to? So I think it's a more
14 complicated question than merely doing scenario
15 analysis. I think it comes to a design question.

16 MS BRAKEY: Thanks, Jonathan. Graham?

17 PROFESSOR PARTINGTON: I'm inclined to agree with
18 Jonathan and also with Glenn that actually
19 simulation does a much better job. Dinesh said
20 something that really worried me, and that is you
21 can put in any scenarios you like. Now, one of
22 the dangers with scenario analysis is you get
23 this explosion of scenarios. So all of a sudden
24 you completely lose focus in this never-ending
25 fog of alternatives. Like decision trees,
26 scenario analysis is best when it's well-pruned.

27 MS BRAKEY: Thanks, Graham. So Clare, I think we've
28 probably chatted through the scenario testing

1 now. I'll go to you first, Clare. Are there
2 other issues that you would like to chat through
3 today? And to the other board members. No?

4 In that case, we'll go to the experts. Are
5 there other issues that you would like to raise
6 today? Dinesh, yes?

7 MR KUMARESWARAN: Hi, Anna. There were a couple of
8 issues that Martin raised in his note, the first
9 note that he circulated. One of those was the
10 use of geometric versus arithmetic means for
11 measuring the historical excess returns market
12 risk premium. I wonder if it might be worth
13 talking about that briefly.

14 And I also had a couple of follow-up points
15 to some of the discussion on the term issue that
16 we talked about last week, but I guess it would
17 be unfair to have that conversation unless Martin
18 was here as well. So I don't know if there's
19 some way that we might be able to have him join
20 us?

21 MS BRAKEY: The answer to that is I don't know how
22 it's been set up technically, so I'm not
23 100 per cent sure about that. I do note that he
24 did send a paper through, and I presume that the
25 team will make that available more broadly, not
26 just to the experts. So lets go to the geometric
27 versus arithmetic mean issue then, Dinesh.

28 MR KUMARESWARAN: Okay. Well, I'll tell you my view

1 and others will chip in. There are two ways of
2 measuring historical excess returns or averages
3 or historical excess returns. There's the
4 geometric mean and there's the arithmetic mean of
5 historical excess returns. These two things have
6 quite different meanings and they should be used
7 for quite different purposes.

8 So the geometric mean tells you on average
9 what the compounded average returns over some
10 historical period of realised returns have been
11 achieved by an investor. So if you were looking
12 back over a period of history and you wanted to
13 know on average how have investors done, that
14 would be the metric that you look at. You look
15 at the historical geometric means of their
16 returns.

17 That is not appropriate if you are trying to
18 work out what an expected return is for the
19 future. So what's required for the application
20 in the CAPM is an estimate of the expected market
21 risk premium in the future. And the only measure
22 that gives you that is the arithmetic mean of
23 historical excess returns.

24 So the way to think about that is suppose I
25 have 50 years of historical excess returns and I
26 want to estimate what the market risk premium is
27 for the 51st year. So I could think about the
28 historical returns in this way: So there's a one

1 in 50 chance that the excess returns in the year
2 51 turn out the same as they are in year 1,
3 there's a one in 50 chance that they turn out to
4 be the same as they were in year 2, and so on.
5 And so the expected excess return in year 51
6 would be just of the arithmetic average of the
7 historical excess returns. So I think that's
8 the - in my view, only the arithmetic averages
9 should be used to estimate the historical excess
10 returns market risk premium.

11 MS BRAKEY: Thanks, Dinesh. James, did you want to
12 engage on this?

13 MR HANCOCK: I think there are a couple of issues
14 that come across here. One is what is an
15 appropriate estimator of an underlying mean, of
16 course, which we never observe. And so using
17 arithmetic averages is consistent for that
18 purpose.

19 But now let's think about a regulatory
20 decision and it's running for four years. And
21 so, I'm interested in a four-year rate of return,
22 so I propose to you that I'm going to take the
23 average of four-year rates of return that I see
24 over history. So I'm going to take an arithmetic
25 average of all the four-year rates of return so
26 I'll have a consistent unbiased estimate of the
27 four-year rates of return. It's appropriate
28 because it's a four-year regulatory period.

1 And if we do that, what we will actually
2 find, at least in the Australian empirical data,
3 is that we come up with a number that is smaller
4 than if we took four average one-year rate of
5 return. And if you sort of look into issues
6 around variability, they explain that difference.
7 And so it's not clear to me that using just the
8 one-year average rate of return - it's a good
9 estimator of the one-year rate of return, but
10 it's not necessarily the right thing for a
11 four-year regulatory decision.

12 MS BRAKEY: Thanks, James. Graham?

13 PROFESSOR PARTINGTON: There's a big literature on
14 this and there are arguments one way or another.
15 But perhaps I could just use a simple
16 illustration, and it illustrates the point James
17 made. You've got \$100, you invest it in some
18 asset. By the end of the year, it's worth \$200.
19 Right? 100 per cent return. Next year, the
20 price falls down to \$100, minus 50 per cent. The
21 geometric return is zero, the arithmetic average
22 return is 50 per cent.

23 Now, you want to forecast the two-year
24 return. Are you going to say it's 50 per cent?
25 Are you going to say it's zero? Probably
26 neither. You're probably going to pick a number
27 somewhere between those two extremes. And that's
28 exactly what the literature tells you you should

1 do. You should take a weighted average of the
2 geometric and arithmetic return. And, you know,
3 there's an optimal weighting scheme. I can't
4 recall it off the top of my head, but it's to do
5 with the length of the period you're dealing
6 with.

7 Now, let's just consider using the
8 arithmetic return. In the scenario I just
9 suggested, I wonder how many of you would use
10 50 per cent of your estimate as your estimate of
11 next year's return? Statisticians would say
12 that's what you should use. Do investors think
13 like statisticians? An interesting question.
14 Okay, that's all.

15 MS BRAKEY: Thanks, Graham. Glenn?

16 DR BOYLE: Yeah, I'm going to agree with everybody.
17 The phenomenon described by Jim and Graham is
18 because of non-zero serial correlation in
19 returns. They're not IID [independent and
20 identically distributed]. Everything Dinesh said
21 is completely right if returns are IID. If they
22 are not, if they are serially correlated, then
23 yes, the true expected return will fall somewhere
24 between the average and geometric means, which
25 supports Graham's suggestion of a weighted
26 average of the two.

27 MS BRAKEY: All right. Thank you. Are there other
28 topics that the board members or experts want to

1 raise? Jim?

2 MR COX: I hesitate to ask this question. I mean,
3 we've sort of discussed it parameter by
4 parameter, so to speak, so we talked about the
5 beta, we talked about the market risk premium.

6 Are there interdependencies between the
7 parameters that we should be aware of in making
8 an overall consistent sensible decision? I mean,
9 can we just look at it one-by-one or should we do
10 something else to persuade ourselves we've made
11 the right decision for the rate of return as a
12 whole? I'm interested in hearing some discussion
13 on that point.

14 MS BRAKEY: Who wants to kick off with that? I'll
15 come back to you, Catriona. I presume that
16 you've got a different question. Dinesh?

17 MR KUMARESWARAN: My view is that the risk free rate
18 and the market risk premium shouldn't be
19 estimated independently. You need to think about
20 the consistency in those two things. Beta in
21 gearing, so the equity beta should be consistent
22 with the gearing that's used. And I guess one
23 sense check that the AER has looked at in the
24 past is that you would expect the cost of equity
25 to be higher than the prevailing cost of debt.

26 MS BRAKEY: Thanks, Dinesh. Jonathan?

27 MS SAVAGE: Sorry - but Dinesh, presumably not if
28 you're using a 10-year trailing average to debt?

1 MR KUMARESWARAN: No, what I mean is the prevailing
2 cost of debt in the market. The day rate. Yeah.

3 MS BRAKEY: Jonathan?

4 MR MIRRLEES-BLACK: Just very briefly, I think that
5 we have said that there is uncertainty over all
6 parameters, we have said that there might be
7 uncertainty around them, but cross checks can
8 provide a guide as to whether the overall number
9 is within the bounds of reasonableness and you
10 might need to go back and adjust. So yes, I
11 think that one does have to look at the number in
12 the round to check that it's consistent with
13 cross checks and cross checks of the overall
14 estimate.

15 MS BRAKEY: Thanks, Jonathan. Graham?

16 PROFESSOR PARTINGTON: Yes, Dinesh mentioned the
17 leverage adjustment to beta. Now, it's true that
18 you would expect that the higher the leverage,
19 all things equal, there would be a higher beta.
20 However, I have spent a lot of time with Steve
21 Satchell in past reports explaining why this -
22 I won't go into it all now, but I want to make
23 the point that it is by no means clear what beta
24 adjustment you should make. It is actually
25 extremely difficult to get your measurement of
26 leverage right.

27 For example, what are we going to do now
28 that operating leases are being capitalised,

1 right? Operating leases now turn up as an asset
2 and they turn off as a liability. But that will
3 shift the leverage of just about every firm in
4 Australia. Right? What's the right debt
5 measurement. And then there's the problem of
6 using book values of debt, which mainly should be
7 market value. Then there's the problem of
8 whether you use net debt. I could go on.

9 But, you know, even something as simple as
10 measuring leverage is not trivial. And then
11 which one do you use? And I've written an
12 analysis of that in a recent report. But
13 something else has occurred to me recently, and
14 that is that the AER's procedure of allowing the
15 trailing average cost of debt actually insulates
16 equity holders against a substantial proportion
17 of the risk of leverage. For example, it means
18 that wealth transfers only occur in one
19 direction. It means that shareholders can only
20 benefit from interest rate changes. They can't
21 lose.

22 So I haven't teased all this out yet, but it
23 seems to me given the situation in which
24 regulated networks find themselves, it's by no
25 means certain that the standard leverage
26 adjustments shouldn't be applied in estimating
27 beta. In fact, in the past I've said just don't
28 bother doing it. And in some recent work I've

1 shown it doesn't actually matter very much and
2 the way the AER goes about it at the moment, you
3 actually get a slight upward drift in returns
4 with leverage because the adjustment's not quite
5 right.

6 MS BRAKEY: Thanks, Graham. Jim, does that satisfy
7 your question?

8 MR COX: If others have thoughts, I'd be interested
9 in hearing them, I guess, because it's a
10 significant issue for us.

11 MS BRAKEY: Dinesh?

12 MR KUMARESWARAN: Mine was just a quick response to
13 Graham. Is that okay?

14 MS BRAKEY: Yes.

15 MR KUMARESWARAN: Well, I think what Graham is
16 suggesting is that you can compare equity betas
17 of firms that have different levels of leverage.
18 And I think that it's basic standard finance that
19 you can't do that. These are not
20 apples-with-apples comparisons.

21 MS BRAKEY: Thanks, Dinesh. Toby?

22 DR BROWN: I think I'm just going to agree with
23 people - or Dinesh, at least, that the MRP has to
24 be consistent with the risk free rate, and I'm
25 going to repeat myself. Unfortunately that means
26 you can't update the risk free rate without
27 updating the MRP. And I don't think it's easy to
28 do. It's easy to update the risk free rate in a

1 mechanical way, but it's not easy to update the
2 MRP in a mechanical way, and so you shouldn't do
3 it.

4 MS BRAKEY: Thanks, Toby. Glenn?

5 DR BOYLE: I don't have very much useful to
6 contribute here. It's certainly true there are
7 all kinds of interdependencies in the estimation
8 of these parameters. And all that does is mean
9 that the true but unknown standard error of the
10 final allowed rate of return is pretty damn high.

11 I agree therefore with Jonathan, who
12 suggested that you need to stand back and have a
13 look at the allowed rate of return and see if all
14 these independent but not really independent
15 moving parts, when all put together, actually
16 look to make some sort of sense.

17 The tricky part is how you actually do that.
18 My warning would be you don't want to end up
19 second-guessing yourself. This is like my
20 analogy with the supercomputer and the slide rule
21 before. You know, you spend an awful lot of time
22 putting all of these individual inputs together,
23 get all kinds of advice and analysis and
24 feedback, and you put it all together and you get
25 a number, and then you are tempted to start
26 playing with. And I think that's dangerous. If
27 you've done the job properly to begin with then
28 that shouldn't be necessary.

1 MS BRAKEY: Thank you. Catriona, on to your
2 question?

3 MS LOWE: Thanks, Anna. I mean, mine's similarly a
4 bit of an in-the-round question, but possibly
5 coming from the opposite direction. We've spoken
6 a lot over all of the sessions about getting the
7 best estimate and the most accurate estimate, and
8 I think one thing that we've pretty clearly
9 established is that there's a wide range of views
10 about how we might do that.

11 Some of the other stakeholders have
12 expressed interest in not so much stability of
13 outcome, but stability of approach that we take.
14 So I guess I'm interested in the views of the
15 experts as to the materiality of the impact that
16 some of the proposed changes would make when we
17 are perhaps considering the benefits or so of
18 stability?

19 MS BRAKEY: Thanks, Catriona. Who would like to
20 address that opportunity? Dinesh, thank you.

21 MR KUMARESWARAN: I'll have a go. I'll make two
22 points. Firstly, on the conceptual point about
23 stability of method versus stability of outcome,
24 I think certainty and predictability are all very
25 laudable objectives to have, but I think that
26 also needs to be moderated with a willingness to
27 change the method if it becomes apparent that
28 there's a better approach out there.

1 A good example of that is until 2013 every
2 regulator used the on-the-day rate to set the
3 return on debt allowance. And then in 2013 the
4 AER looked at this issue and determined that the
5 on-the-day rate wasn't, in its view, the best way
6 to estimate the return on debt allowance. And so
7 it changed its method. And that was supported by
8 consumers and by other network businesses. So
9 there was a clear case for change and the
10 regulator did that, and I think the outcomes are
11 better for it.

12 As to the question of materiality, I guess
13 that was the point of the scenario testing
14 suggestion. So the model that the ENA's made
15 available is precisely to help all stakeholders
16 do that. So you can test different approaches
17 that are being considered and see how material
18 the change would be relative to the status quo
19 under different scenarios of the world and the
20 future.

21 MS BRAKEY: Thanks, Dinesh. Toby?

22 DR BROWN: Thanks. Actually, I just want to
23 emphasise that I think this is a really long run
24 exercise. I'm not sure whether that's too
25 helpful directly to your question about whether
26 it's the method or the outcome, but I do think
27 it's worth thinking through that from the
28 perspective of a business, once they get the

1 determination, the revenues that the business is
2 going to collect and even sort of more narrowly
3 the return building block component, is fixed.

4 It's going to happen come what may and is
5 independent of the business's investment decision
6 for the five-year period. And so, really if the
7 businesses are thinking like this then the impact
8 of making a dollar of investment now is returns
9 that they're going to get in the next regulatory
10 period or at least they're going to get returns
11 on the depreciated amount of that dollar after
12 five years.

13 And so the connection between what we're
14 doing now in the rate of return instrument for
15 2022 and investment is really a very long run
16 connection because investors look at what you're
17 doing now and they use that as - that forms part
18 of their expectations about the very long run and
19 what's going to happen in future.

20 And so, I think consistency is really
21 important because these investment decisions are
22 actually - it's sort of based on the impression
23 that you give for what's going to happen over the
24 really long run. And what that means is a
25 mistake now doesn't just impact this regulatory
26 period; it potentially impacts on the future ones
27 as well.

28 MS BRAKEY: Thanks, Toby. Did anyone else want to

1 chip in on this? Glenn?

2 DR BOYLE: The question about material effects is
3 really interesting. And that's really the bottom
4 line, in a sense. But it's really hard to do
5 that mental arithmetic in one's head. You kind
6 of need to go away and have a crack at it.

7 But there are a couple of simple things.
8 The proposed change to a five-year term, that's
9 going to - you know, if there's an upward sloping
10 term structure, what's that going to do? That's
11 going to lower the cost of equity, isn't it? But
12 of course that's going to be somewhat offset by
13 the fact that interest rates now seem to be
14 rising. So the effect there may not be very
15 material. I mean, it will depend on what the
16 final numbers are, but there is at the moment a
17 kind of offsetting effect there.

18 Another change could be to give more weight
19 in the estimation of the market risk premium to
20 the DGM surveys, et cetera. I'm not sure if
21 that's proposed or not, but that's one possible
22 change that could occur. Well, in the past that
23 would have led to possibly a fairly material
24 increase in the estimated market risk premium,
25 but again the rise in interest rates will tend to
26 modify that a bit. Those estimates from the DGM
27 in particular could well come down a bit as the
28 risk free rate interest rate goes up.

1 So in other words, I don't really have any
2 idea but the kind of changes that are being
3 spoken about, there do seem to be some offsetting
4 effects so that the final overall change may not
5 be all that material.

6 MS BRAKEY: Thanks, Glenn. Jonathan?

7 MR MIRRLEES-BLACK: Thanks. I think there's just one
8 issue which we haven't touched on at all. And
9 that is we have been considering over these four
10 sessions that the cost of capital is something
11 which is out there and it's to be measured, but
12 it's not necessarily something on which there is
13 an influence, apart from perhaps some of the
14 comments that Toby's just made.

15 And I think perhaps there's also a question
16 around what it is that decisions around the RoRI
17 can do to put downward pressure on the cost of
18 capital which means that investment can occur at
19 lower cost. But there's also the question around
20 incentives in that it may well be that
21 maintaining some risk for the businesses which
22 allows the businesses to earn higher returns,
23 which might increase the cost of capital but
24 provide incentivisation to keep capital costs
25 down, is also important.

26 So I'm just thinking that we are taking it
27 as just a simple measurement approach here, but
28 I think thinking about incentives on businesses

1 in the round so that there's an overall
2 minimisation of costs and maximisation of
3 benefits to consumers is something with also is
4 relevant here. And that goes to the overall
5 package of returns, the overall package of
6 regulatory settlements.

7 MS BRAKEY: Thanks, Jonathan. Clare?

8 MS SAVAGE: This is probably a provocative question,
9 but you know I like provocative questions. I'm
10 interested in the experts' views on how they
11 think the current instrument is performing. And
12 so this is at a very high level. Because if you
13 think about if we open one part, we'll open lots
14 of parts, I would suggest. And so whilst you may
15 have varying views on the bits you would like us
16 to open and the bits you would like us to leave
17 closed, if you have to accept the risk that we
18 might open the bits you don't like as well the
19 bits you do like, what do you think about the
20 performance of this instrument at the highest
21 level? Is there a case for change?

22 MS BRAKEY: Thanks, Clare. That is a provocative
23 question. Who would like to tackle that one?
24 Graham, thank you.

25 PROFESSOR PARTINGTON: My view is what you've been
26 doing seems to have been working reasonably well.
27 You know, you could change. It might be better.
28 That's not at all clear to me. What is clear,

1 you are going to get a mountain of submissions.

2 MS BRAKEY: Thanks, Graham.

3 PROFESSOR PARTINGTON: And all of them will argue
4 that, "Yeah, this change is great," and the
5 underlying reason will be because it gives them
6 the rate of return they want. Higher for the
7 networks, lower for the consumers. Self-interest
8 will rule.

9 MS BRAKEY: Thanks, Graham. Jonathan?

10 MR MIRRLEES-BLACK: I think there's two big issues
11 which really have to be addressed, and are really
12 important to address through this process and
13 what needs to change. And it relates to what we
14 were talking about this morning with the MRP and
15 the relationship between the MRP and the risk
16 free rate. I think that's really important. I
17 think that needs to change. And the second thing
18 is how do you do beta with using international
19 evidence on beta for the next time around in
20 particular? And some visibility on that, I
21 think, and some early thinking around that is
22 really important.

23 MS BRAKEY: Thanks, Jonathan. James?

24 MR HANCOCK: I would agree that a question of how the
25 MRP is set and particularly whether it's assumed
26 to be negatively correlated with the risk free
27 rate is important. I'm not convinced that it
28 should be taken to be correlated, but it's

1 possible that, you know, that I might be
2 convinced with a sort of really sort of robust
3 econometric analysis of it. But at this point
4 I'm not, so that's my first. The second would be
5 that there is a possible issue coming down the
6 track to do with the trailing average as low
7 interest rates over recent years come into the
8 trailing average at a point a few years down the
9 track when financing costs are higher. And that
10 may be a bone of contention later on.

11 MS BRAKEY: Thanks, James. Dinesh?

12 MR KUMARESWARAN: I agree with Jonathan that I think
13 the two key areas that really require some
14 thinking is this issue about the relationship
15 between the risk free rate and the market risk
16 premium.

17 Sorry, let me characterise that differently.
18 How do we best estimate the most reliable market
19 risk premium? I think that's the way I would put
20 it. The relationship between the risk free rate
21 and the MRP does sort of come into that decision.

22 The other is beta estimations. I agree with
23 Jonathan, but I wouldn't wait until the next
24 RoRI. I would start thinking about that now, how
25 to implement that now. Jim's point about the
26 trailing average approach, I think if businesses
27 are managing their debt portfolios in the way
28 that the AER conceives the efficient debt

1 management approach, which is to roll over a
2 proportion of their debt every year, then there
3 isn't an issue.

4 And so, the prevailing cost of debt in the
5 market might go up or down, but that will just be
6 reflected in the cost of debt, the trailing
7 average cost of debt. So the businesses will
8 refinance at the prevailing rate and the whole
9 point of the trailing average is to get a good
10 match between the efficient cost of debt that the
11 business incurs using that efficient debt
12 management approach and the regulatory allowance.
13 So I don't really see that there is a problem on
14 the horizon.

15 MS BRAKEY: Thanks, Dinesh. Glenn?

16 DR BOYLE: I'm sorry. I can't really comment on this
17 issue, not living in Australia, and having only
18 come to this deliberation in the last few months,
19 so I'm not familiar with the history. I would
20 just apply a simple test that only all of you
21 living in Australia can answer. Do your toasters
22 continue to turn on every morning? If so, what's
23 the problem?

24 MS BRAKEY: Thanks. Anyone else?

25 PROFESSOR PARTINGTON: In response to Glenn's
26 observation, my power was cut off yesterday and I
27 wonder if I'm being singled out.

28 MS BRAKEY: Thanks. Any other views? Dinesh, is

1 that an old hand?

2 MR KUMARESWARAN: No, it's a new one. Slightly
3 tongue-in-cheek. The AER's job is to think about
4 the long term interests of consumers. And so we
5 should be worried about whether toasters will
6 turn on in 20 years. And that's about sending
7 the right investment signals.

8 MS SAVAGE: We are worried about that. Don't worry.

9 MS BRAKEY: Thank you. I think that was a really
10 good question, Clare, because it's given an idea
11 of what the experts think are the priorities for
12 change. Any other questions from you, Clare, for
13 a start?

14 MS SAVAGE: No. And I have to leave shortly. Thank
15 you to everyone.

16 MS BRAKEY: That's why I did want to give you that
17 opportunity. Any questions from other board
18 members? No? Any other points from any of the
19 experts? No?

20 In that case, we now are at the end of four
21 sections. They have all been interesting. I've
22 really enjoyed the discussion. It's been very
23 respectful and thoughtful and I hope useful to
24 the AER board members. I'd like to extend a
25 particular thanks to the experts for the nature
26 in which they have engaged with each other and
27 for the thoughtfulness of their responses and for
28 bringing their expertise to bear for us. Thank

1 you to everybody. And Clare, any closing
2 statements from you about process or anything
3 like that?

4 MS SAVAGE: Really just to express deep gratitude for
5 the time and attention and energy people have
6 brought. It's a lot to sit through, obviously,
7 and to participate and be on your game for all of
8 these sessions, but we've really appreciated the
9 input. I think it's very much highlighted for
10 us some of the challenges that, even if it hasn't
11 answered questions, it's highlighted for us some
12 of the challenges that are in front of us as we
13 move through this process.

14 We will be coming together as a board next
15 week with our shadows and the team to reflect on
16 some of the things we've heard and pick out what
17 we've heard from here. There will be still
18 opportunity to make submissions on the
19 information paper, so for anyone listening today,
20 if you have heard something through these
21 sessions that you want to reflect in your
22 submissions, we are keen to see that and hear
23 from that.

24 But I think process-wise, and correct me if
25 I'm wrong, Eric, I think we go from here to or
26 draft decision. We will then have an independent
27 panel review the draft decision, so the draft
28 decision will be around the middle of this year,

1 and we'll be heading towards a final decision at
2 the end of this year,.

3 But did you want to add anything, Eric,
4 because you are our networks committee chair? I
5 got that right? Always a risk that I've got that
6 wrong. Okay.

7 Well, thank you, everyone. And we look
8 forward to hearing and seeing from what people
9 are thinking as we progress, but very much
10 appreciate the time and energy that's gone into
11 this today and last week.

12 PROFESSOR PARTINGTON: Thank you very much and thank
13 you for the thoughtful questions. And particular
14 thanks to Anna, who I think has done a
15 magnificent job of facilitating in all the
16 sessions I've attended, and under difficult
17 circumstances.

18 MS SAVAGE: Yes. Particularly today, Anna, when
19 you've obviously had not much sleep and divided
20 loyalties.

21 MS BRAKEY: It's all good, but I will take these
22 extra 15 minutes and go sort some stuff out.
23 Thank you, everybody.

24 **THE SESSION CONCLUDED AT 4.14PM**

25
26
27
28

\$

\$100 [2] - 67:17, 67:20
\$200 [1] - 67:18

O

0.5 [2] - 22:8, 28:9

1

1 [3] - 32:9, 50:8, 66:2
1.05 [1] - 48:24
1.1 [1] - 48:25
10-year [1] - 69:28
100 [2] - 64:23, 67:19
15 [1] - 85:22
17 [1] - 1:26

2

2 [4] - 22:10, 28:9, 32:9, 66:4
2.00PM [1] - 1:26
20 [1] - 83:6
2013 [2] - 75:1, 75:3
2022 [3] - 1:26, 2:3, 76:15

4

4 [2] - 1:10
4.14PM [1] - 85:24
4.15 [1] - 51:5
40 [1] - 40:24

5

50 [7] - 65:25, 66:1, 66:3, 67:20, 67:22, 67:24, 68:10
51 [2] - 66:2, 66:5
51st [1] - 65:27

8

80 [1] - 40:23

9

99 [1] - 48:21

A

able [6] - 4:7, 12:14, 23:20, 28:6, 48:26, 64:19
Aboriginal [1] - 2:19
absence [2] - 10:22, 23:5
absolute [1] - 48:15
absolutely [1] - 32:10
ACCC [2] - 1:15, 2:12

accept [2] - 25:28, 79:17
accepted [1] - 25:8
accepting [1] - 11:9
access [3] - 45:25, 45:26, 46:6

accessible [2] - 62:7
accommodate [1] - 23:27
accountants [1] - 32:27
accounting [8] - 33:7, 33:10, 33:12, 33:20, 33:23, 34:2, 34:8
accruals [1] - 34:10
accurate [1] - 74:7
achieved [5] - 5:25, 6:4, 6:10, 6:12, 65:11
acknowledge [1] - 2:13
acquisition [1] - 3:12
actions [1] - 36:11
activities [1] - 50:25
activity [1] - 41:12
actual [14] - 6:7, 17:20, 18:16, 19:5, 19:26, 20:7, 20:14, 20:17, 20:22, 24:10, 36:11, 39:6, 49:23, 50:7

adapted [1] - 17:28
add [2] - 44:11, 85:3
adding [1] - 61:18
additional [3] - 41:20, 50:19, 55:26
address [3] - 37:4, 74:20, 80:12
addressed [2] - 18:26, 80:11
adjust [3] - 4:22, 60:21, 70:10
adjusted [2] - 13:10, 13:27
adjusting [1] - 48:5
adjustment [2] - 70:17, 70:24
adjustment's [1] - 72:4
adjustments [3] - 21:10, 21:13, 71:26
adopt [2] - 34:5, 61:7
adopted [4] - 18:23, 52:1, 55:4, 55:10
adopting [1] - 20:8
adopts [1] - 28:27
advice [1] - 73:23
advise [1] - 33:11
Advisor [1] - 1:20

AER [61] - 1:16, 1:16, 1:17, 1:17, 1:18, 1:18, 1:19, 1:19, 1:20, 3:8, 3:12, 8:1, 8:28, 10:3, 10:20, 13:26, 15:12, 16:10, 16:15, 16:27, 17:5, 17:6, 17:7, 17:10, 21:17, 21:25, 24:9, 26:7, 26:21, 28:23, 28:25, 29:16, 30:3, 30:22, 31:11, 32:20, 36:20, 36:26, 37:17, 37:19, 41:10, 43:19, 44:7, 45:24, 45:25, 46:13, 46:24, 52:21, 55:18, 58:4, 58:10, 58:20, 59:11,

59:22, 69:23, 72:2, 75:4, 81:28, 83:24
AER's [7] - 31:18, 32:2, 32:19, 55:5, 58:8, 71:14, 83:3

affect [5] - 9:16, 9:18, 27:28, 40:12, 59:14
afternoon [1] - 3:18
agencies [3] - 17:19, 17:25, 17:28
agency [7] - 4:4, 4:20, 19:27, 26:11, 42:20, 42:25, 43:6
agree [20] - 15:9, 15:10, 15:23, 16:11, 24:23, 41:8, 43:19, 49:12, 52:19, 55:19, 57:5, 58:13, 62:2, 63:17, 68:16, 72:22, 73:11, 80:24, 81:12, 81:22
agreement [4] - 43:17, 51:11, 51:13, 51:17
aimed [1] - 54:22
algebra [1] - 38:18
allocation [1] - 16:3
allow [3] - 4:24, 14:23, 21:21
allowable [1] - 27:24
allowance [21] - 10:20, 10:26, 13:19, 14:15, 18:23, 19:17, 20:4, 20:5, 20:6, 36:18, 36:21, 36:23, 38:2, 38:3, 38:7, 38:13, 38:19, 40:14, 75:3, 75:6, 82:12
allowances [6] - 10:20, 10:21, 17:14, 19:13, 22:13, 26:1
allowed [23] - 11:13, 14:6, 15:19, 15:27, 16:21, 18:7, 18:20, 18:21, 19:21, 22:12, 24:9, 25:22, 28:2, 29:5, 29:6, 29:24, 30:1, 58:12, 59:16, 60:5, 61:15, 73:10, 73:13
allowing [2] - 46:13, 71:14
allows [2] - 61:26, 78:22
alluded [2] - 27:22, 28:21
almost [3] - 15:9, 15:12, 27:19
almost" [1] - 15:14
alternative [5] - 8:8, 12:23, 35:7, 47:5, 61:20
alternatives [1] - 63:25
America [1] - 35:3
amount [2] - 39:16, 76:11
analogy [1] - 73:20
analyse [1] - 30:4
analysis [13] - 42:4, 60:12, 60:15, 60:19, 60:21, 61:11, 62:16, 63:15, 63:22, 63:26, 71:12, 73:23, 81:3
Anderson [1] - 1:16
Anna [16] - 1:15, 2:11, 3:19, 8:20, 20:24, 35:24, 43:13, 44:13, 45:21,

49:14, 51:4, 51:20, 64:7, 74:3, 85:14, 85:18
anomalous [1] - 9:2
anomaly [2] - 9:10, 9:12
answer [5] - 27:9, 27:11, 61:12, 64:21, 82:21
answered [1] - 84:11
answers [1] - 25:3
anyway [2] - 28:26, 30:17
apart [1] - 78:13
apologies [1] - 52:13
apparent [1] - 74:27
appeal [1] - 44:2
appear [2] - 10:4, 34:6
apples [4] - 8:4, 72:20
apples-with-apples [1] - 72:20
application [1] - 65:19
applied [3] - 18:27, 37:16, 71:26
applies [1] - 63:3
apply [7] - 4:3, 4:4, 6:22, 20:12, 20:13, 20:16, 82:20
applying [2] - 39:19, 48:16
appreciate [1] - 85:10
appreciated [1] - 84:8
approach [11] - 10:22, 12:10, 21:18, 24:8, 54:13, 74:13, 74:28, 78:27, 81:26, 82:1, 82:12
approaches [2] - 55:15, 75:16
appropriate [12] - 21:8, 21:11, 21:12, 23:21, 23:23, 24:14, 24:18, 29:6, 65:17, 66:15, 66:27
arbitrary [1] - 25:12
area [1] - 29:26
areas [1] - 81:13
argue [1] - 80:3
argued [1] - 27:2
arguing [1] - 29:13
argument [5] - 14:9, 25:8, 43:16, 43:20, 43:21
arguments [1] - 67:14
arise [1] - 42:10
arises [1] - 42:12
arithmetic [12] - 64:10, 64:27, 65:4, 65:22, 66:6, 66:8, 66:17, 66:24, 67:21, 68:2, 68:8, 77:5
array [1] - 31:17
arrived [1] - 29:19
articulate [1] - 9:9
aside [2] - 13:8, 39:9
aspire [1] - 32:28
assess [1] - 22:17
assessment [3] - 14:25, 26:11, 39:24
assessments [1] - 22:23
asset [10] - 5:7, 5:20, 12:9, 21:19, 21:23, 21:25, 35:13, 46:21, 67:18, 71:1

assets [8] - 11:22, 26:19, 32:6, 33:11, 33:13, 40:3, 46:4, 56:22
Assistant [1] - 1:19
assisting [1] - 46:23
assume [1] - 62:18
assumed [6] - 18:19, 38:1, 38:6, 38:13, 40:16, 80:25
assuming [2] - 5:25, 23:17
assumption [1] - 39:22
AT [2] - 1:26, 85:24
attempting [1] - 47:19
attended [1] - 85:16
attention [4] - 7:26, 7:28, 32:25, 84:5
attitude [1] - 40:3
attract [2] - 56:1, 56:5
attracted [1] - 56:10
attractive [1] - 56:28
attributed [1] - 50:24
Australia [12] - 2:15, 19:2, 23:4, 35:16, 35:19, 51:25, 54:24, 56:6, 71:4, 82:17, 82:21
AUSTRALIAN [1] - 1:9
Australian [10] - 29:3, 29:7, 29:19, 29:24, 30:21, 30:23, 30:28, 57:10, 67:2
authorised [1] - 7:15
available [3] - 61:26, 64:25, 75:15
average [25] - 21:18, 21:26, 23:17, 25:13, 29:27, 58:5, 65:8, 65:9, 65:13, 66:6, 66:23, 66:25, 67:4, 67:8, 67:21, 68:1, 68:24, 68:26, 69:28, 71:15, 81:6, 81:8, 81:26, 82:7, 82:9
averages [3] - 65:2, 66:8, 66:17
averaging [1] - 31:3
aware [2] - 20:18, 69:7
awful [2] - 27:8, 73:21

B

bad [2] - 53:10, 57:17
balance [1] - 24:3
ball [1] - 57:26
base [2] - 5:7, 12:10
based [10] - 11:15, 11:16, 23:16, 26:9, 33:9, 40:16, 40:18, 52:9, 52:10, 76:22
basic [2] - 59:10, 72:18
basis [11] - 6:25, 6:27, 18:13, 20:19, 20:21, 22:21, 31:12, 54:8, 54:11, 54:21, 60:20
Bates [3] - 29:8, 29:12, 29:22
Bayesian [1] - 56:16
bear [1] - 83:28
bearing [2] - 62:21, 63:3

become [1] - 13:17
becomes [1] - 74:27
becoming [1] - 58:20
begin [2] - 32:26, 73:27
beginning [1] - 22:4
below [2] - 5:10, 5:11
benchmark [25] - 10:27, 18:9, 18:10, 18:13, 18:15, 18:17, 18:22, 18:26, 20:13, 20:19, 20:21, 24:20, 25:7, 25:9, 25:11, 25:16, 25:25, 38:14, 39:3, 40:11, 40:15, 40:18, 40:21, 50:8
benefit [1] - 71:20
benefits [3] - 13:13, 74:17, 79:3
best [11] - 8:5, 8:12, 25:27, 47:15, 48:23, 54:5, 55:20, 63:26, 74:7, 75:5, 81:18
beta [12] - 23:14, 39:17, 69:5, 69:20, 69:21, 70:17, 70:19, 70:23, 71:27, 80:18, 80:19, 81:22
betas [1] - 72:16
better [9] - 26:22, 29:14, 29:23, 48:8, 62:26, 63:19, 74:28, 75:11, 79:27
between [14] - 5:28, 7:16, 45:8, 50:7, 53:5, 57:28, 67:27, 68:24, 69:6, 76:13, 80:15, 81:15, 81:20, 82:10
bias [1] - 60:14
bid [1] - 42:25
big [5] - 34:14, 48:27, 60:11, 67:13, 80:10
bit [18] - 3:22, 15:22, 27:6, 27:7, 29:2, 32:18, 35:25, 36:10, 41:26, 43:25, 46:24, 47:24, 51:5, 51:10, 62:4, 74:4, 77:26, 77:27
bits [4] - 79:15, 79:16, 79:18, 79:19
Black [1] - 1:23
black [2] - 43:8, 62:4
BLACK [7] - 20:24, 38:22, 55:25, 62:12, 70:4, 78:7, 80:10
block [4] - 5:15, 13:21, 15:1, 76:3
blocks [7] - 5:10, 6:7, 6:8, 6:18, 6:23, 8:24, 15:4
Board [6] - 1:17, 1:17, 1:18, 1:18, 1:19, 35:6
board [7] - 3:3, 58:20, 64:3, 68:28, 83:17, 83:24, 84:14
boils [1] - 38:18
bond [4] - 11:3, 11:5, 11:7, 61:18
bonds [1] - 10:17
bone [1] - 81:10
book [4] - 5:6, 21:24, 45:8, 71:6
borne [1] - 62:22
borrowing [1] - 20:8
bother [1] - 71:28
bottom [2] - 5:22, 77:3
bound [2] - 28:3
bounds [1] - 70:9
box [2] - 43:8, 62:5
BOYLE [15] - 26:27, 48:15, 49:11, 49:20, 52:13, 56:16, 56:23, 57:3, 57:13, 58:13, 60:11, 68:16, 73:5, 77:2, 82:16
Boyle [1] - 1:21
BRAKEY [78] - 2:1, 8:19, 15:7, 20:12, 20:23, 24:21, 25:2, 26:26, 30:13, 32:4, 34:18, 34:25, 35:17, 38:11, 38:21, 40:8, 40:26, 41:3, 41:6, 42:16, 43:12, 44:10, 45:22, 47:9, 47:17, 48:4, 48:14, 49:5, 49:13, 49:19, 50:9, 50:27, 51:21, 52:3, 52:12, 52:26, 53:17, 54:26, 55:24, 56:13, 59:6, 60:9, 60:25, 61:13, 62:11, 63:16, 63:27, 64:21, 66:11, 67:12, 68:15, 68:27, 69:14, 69:26, 70:3, 70:15, 72:6, 72:11, 72:14, 72:21, 73:4, 74:1, 74:19, 75:21, 76:28, 78:6, 79:7, 79:22, 80:2, 80:9, 80:23, 81:11, 82:15, 82:24, 82:28, 83:9, 83:16, 85:21
Brakey [2] - 1:15, 2:11
Brattle [2] - 35:1, 53:22
breaching [1] - 24:16
breaker [1] - 31:7
briefly [2] - 64:13, 70:4
bring [1] - 30:19
bringing [2] - 34:22, 83:28
broad [2] - 9:24, 10:1
broader [1] - 7:8
broadly [3] - 5:1, 14:21, 64:25
brought [1] - 84:6
BROWN [4] - 3:19, 52:27, 72:22, 75:22
Brown [1] - 1:22
build [3] - 43:1, 57:18
building [12] - 5:10, 5:15, 6:7, 6:8, 6:18, 6:23, 8:24, 13:21, 15:1, 15:4, 42:27, 76:3
bunch [1] - 29:9
bundled [2] - 13:2, 48:9
business [28] - 4:15, 4:24, 5:6, 5:28, 6:9, 6:13, 7:4, 11:15, 13:1, 13:2, 16:1, 18:11, 18:15, 18:16, 18:17, 19:5, 19:15, 19:24, 19:26, 20:7, 20:17, 23:22, 32:27, 36:12, 40:18, 75:28, 76:1, 82:11
business's [2] - 17:23, 76:5
businesses [14] - 3:14, 4:6, 4:8, 7:17, 17:22, 20:22, 46:18, 75:8, 76:7, 78:21, 78:22, 78:28, 81:26, 82:7
buy [1] - 27:8

C

calculate [3] - 13:24, 23:16, 30:4
calculated [1] - 11:5
calculating [2] - 12:23, 16:4
calculation [3] - 12:27, 48:11, 48:13
calculations [1] - 21:7
cancel [3] - 38:17, 40:20, 40:25
canvas [1] - 9:15
cap [2] - 5:26, 5:27
capacity [1] - 42:24
CapEx [1] - 4:18
capital [33] - 16:22, 19:18, 23:12, 23:16, 23:23, 23:24, 24:3, 24:7, 24:19, 25:14, 26:14, 31:24, 39:4, 39:5, 39:8, 40:14, 55:21, 56:2, 56:5, 56:7, 56:9, 56:17, 56:26, 57:2, 57:4, 57:10, 57:22, 63:1, 78:10, 78:18, 78:23, 78:24
capitalisation [1] - 12:17
capitalised [1] - 70:28
CAPM [6] - 8:10, 9:4, 14:7, 36:4, 56:25, 65:20
capture [3] - 32:14, 35:10, 35:12
captured [4] - 32:14, 32:17, 42:3, 50:24
care [2] - 42:26, 42:28
carefully [1] - 9:11
carried [1] - 8:26
case [10] - 11:9, 21:4, 28:28, 41:24, 54:23, 58:1, 64:4, 75:9, 79:21, 83:20
cases [6] - 9:20, 11:8, 26:9, 27:20, 28:4, 59:13
cash [17] - 4:1, 4:18, 10:27, 17:20, 17:21, 18:14, 18:18, 18:21, 19:19, 38:10, 46:27, 46:28, 50:5, 62:17, 62:25, 63:12
cast [1] - 53:9
Catriona [6] - 1:18, 49:13, 58:17, 69:15, 74:1, 74:19
caution [1] - 32:19
cent [10] - 32:9, 40:23, 40:24, 48:21, 64:23, 67:19, 67:20, 67:22, 67:24, 68:10
certain [2] - 17:24, 71:25
certainly [3] - 49:26, 53:2, 73:6
certainty [1] - 74:24
cetera [1] - 77:20
chair [1] - 85:4
challenge [1] - 44:24
challenges [2] - 84:10, 84:12
challenging [2] - 13:6, 42:6
chance [3] - 30:8, 66:1, 66:3
change [22] - 20:4, 20:5, 34:19, 40:4, 40:21, 40:24, 40:28, 62:25, 74:27, 75:9, 75:18, 77:8, 77:18, 77:22, 78:4, 79:21, 79:27, 80:4, 80:13, 80:17, 83:12
changed [2] - 40:4, 75:7
changes [5] - 10:2, 23:22, 71:20, 74:16, 78:2
changing [3] - 20:7, 26:13, 26:14
characterisation [1] - 25:28
characterise [1] - 81:17
chat [1] - 64:2
chatted [1] - 63:28
check [45] - 4:13, 7:11, 8:11, 9:9, 9:10, 9:16, 9:18, 9:22, 9:25, 9:26, 10:7, 10:8, 10:10, 10:11, 10:15, 13:24, 14:3, 15:21, 16:13, 18:5, 22:17, 27:12, 27:17, 27:28, 28:22, 30:26, 31:6, 34:28, 36:7, 37:24, 39:11, 39:14, 43:18, 43:22, 44:6, 47:8, 53:13, 53:19, 55:3, 58:27, 60:7, 69:23, 70:12
checkers [1] - 28:19
checks [26] - 1:12, 2:23, 3:1, 3:8, 3:21, 3:24, 7:9, 8:15, 8:21, 8:26, 10:4, 27:6, 27:16, 27:22, 27:23, 30:5, 30:11, 35:28, 37:15, 37:22, 39:23, 43:16, 55:16, 70:7, 70:13
cheek [1] - 83:3
Chihuahuas [1] - 58:15
chip [4] - 15:8, 15:9, 65:1, 77:1
choices [2] - 55:1, 55:17
choose [2] - 24:13, 25:15
chooses [2] - 55:8, 60:19
choosing [1] - 25:16
chosen [2] - 11:8, 24:11
chucked [1] - 29:10
circuit [1] - 31:7
circular [2] - 31:5, 52:22
circulated [2] - 28:22, 64:9
circumstances [2] - 4:15, 85:17
cite [1] - 10:24
Clare [17] - 1:19, 34:18, 35:23, 39:10, 50:11, 50:27, 52:14, 56:14, 59:6, 63:27, 64:1, 79:7, 79:22, 83:10, 83:12, 84:1
clarify [1] - 49:7
classic [1] - 29:8
clean [1] - 5:18
clear [12] - 9:8, 10:10, 11:11, 13:9, 13:15, 45:27, 53:24, 67:7, 70:23, 75:9, 79:28
clearly [3] - 9:23, 48:1, 74:8
clip [1] - 11:20
closed [1] - 79:17
closely [1] - 6:22
closing [1] - 84:1
Cocker [2] - 29:26, 30:20
coded [1] - 61:28
colleague [1] - 52:13
collect [1] - 76:2
collectively [1] - 14:20
collects [1] - 5:28
combination [2] - 22:25, 57:8
combining [2] - 29:15, 61:21
comfort [3] - 14:2, 14:9, 17:7
coming [6] - 10:12, 26:17, 35:9, 74:5, 81:5, 84:14
comment [5] - 27:16, 35:10, 35:25, 60:10, 82:16
comments [6] - 20:25, 26:23, 26:28, 41:9, 49:17, 78:14
Commerce [1] - 55:8
Commission [3] - 19:1, 35:4, 55:8
Commissioner [1] - 1:15
commissioners [1] - 2:11
committee [1] - 85:4
common [1] - 35:21
communicate [1] - 9:23
community [2] - 2:16, 53:25
companies [11] - 21:19, 22:9, 23:6, 24:11, 25:21, 25:26, 33:12, 62:23, 63:7, 63:8, 63:10
companies' [1] - 23:26
company [6] - 17:20, 24:16, 24:18, 25:19, 26:18, 45:13
comparability [1] - 53:20
comparable [2] - 10:20, 51:14
comparator [4] - 51:18, 51:22, 51:24, 54:18
comparators [3] - 53:18, 55:5, 55:12
compare [3] - 32:16,

46:10, 72:16
compared [2] - 31:19, 39:14
compares [1] - 35:1
comparing [2] - 32:21
comparison [1] - 46:14
comparisons [3] - 37:7, 55:27, 72:20
compatibility [1] - 14:24
competitive [2] - 23:22, 35:7
compiled [1] - 61:5
complete [1] - 41:15
completely [2] - 63:24, 68:21
complex [2] - 27:10, 60:24
complicated [2] - 62:5, 63:14
component [7] - 15:18, 45:18, 48:9, 48:10, 48:11, 48:13, 76:3
components [1] - 12:28
compounded [1] - 65:9
compounding [1] - 9:4
compromised [1] - 53:26
compute [1] - 19:8
computing [1] - 33:19
conceives [1] - 81:28
concept [4] - 12:24, 17:17, 17:27, 48:6
concepts [1] - 33:7
conceptual [1] - 74:22
conceptually [1] - 15:11
concern [2] - 13:9, 60:18
conclude [1] - 37:19
CONCLUDED [1] - 85:24
conclusion [1] - 14:16
conclusions [1] - 53:12
Concurrent [1] - 2:3
CONCURRENT [1] - 1:10
conditions [2] - 59:20, 59:24
conducted [1] - 20:21
confidence [5] - 3:10, 27:25, 27:26, 29:17, 48:21
confident [3] - 13:18, 15:28, 16:5
confirm [1] - 43:14
conformed [1] - 55:5
confounders [1] - 9:17
connection [4] - 2:16, 30:16, 76:13, 76:16
consider [3] - 10:4, 31:8, 68:7
consideration [1] - 31:28
considered [3] - 3:16, 14:13, 75:17
considering [3] - 59:23, 74:17, 78:9
consistency [3] - 18:5, 69:20, 76:20
consistent [9] - 23:14, 26:4, 37:22, 66:17, 66:26, 69:8, 69:21, 70:12, 72:24
consistently [1] - 3:14
constitute [1] - 51:14
constraints [1] - 35:23
consumers [10] - 13:14, 42:12, 47:28, 59:18, 60:7, 62:7, 75:8, 79:3, 80:7, 83:4
consumers/an [1] - 54:23
contained [1] - 15:17
content [2] - 35:28, 47:14
contention [1] - 81:10
context [1] - 7:2
continue [3] - 10:3, 30:4, 82:22
continuing [2] - 2:15, 34:26
contribute [2] - 8:15, 73:6
control [9] - 5:21, 13:9, 13:10, 13:11, 13:15, 42:18, 42:19, 43:7, 43:8
controlled [2] - 9:19, 42:7
conversation [1] - 64:17
conversely [1] - 5:9
convinced [2] - 80:27, 81:2
correct [2] - 16:6, 84:24
corrected [1] - 11:12
correctly [1] - 43:15
correlated [3] - 68:22, 80:26, 80:28
correlation [1] - 68:18
cost [37] - 7:14, 16:3, 16:22, 18:9, 19:6, 21:18, 21:26, 23:11, 23:16, 23:20, 24:7, 25:13, 38:2, 38:3, 39:4, 39:8, 39:24, 55:21, 56:17, 57:2, 57:4, 57:10, 57:22, 63:1, 69:24, 69:25, 70:2, 71:15, 77:11, 78:10, 78:17, 78:19, 78:23, 82:4, 82:6, 82:7, 82:10
costs [12] - 6:7, 21:21, 24:13, 38:4, 38:5, 40:17, 42:20, 42:25, 42:28, 78:24, 79:2, 81:9
counterpart [1] - 8:25
countries [5] - 56:18, 57:5, 57:6, 57:14, 57:28
country [1] - 2:14
couple [5] - 54:27, 64:7, 64:14, 66:13, 77:7
course [7] - 12:20, 14:5, 25:20, 29:16, 60:24, 66:16, 77:12
cover [1] - 3:20
COX [5] - 41:1, 41:5, 43:13, 69:2, 72:8
Cox [1] - 1:17
crack [1] - 77:6
crank [2] - 40:22, 40:23
created [1] - 41:18
creation [1] - 42:27
credit [17] - 4:3, 4:7, 4:16, 4:19, 4:24, 10:28, 17:18, 17:24, 17:25, 17:28, 18:9, 18:19, 18:22, 19:27, 24:1, 26:10, 26:12
CRG [1] - 3:13
criteria [2] - 4:3, 41:25
criterion [1] - 4:26
criticism [1] - 45:23
cross [54] - 2:23, 3:1, 3:8, 3:21, 3:23, 4:13, 7:9, 7:10, 8:11, 8:15, 8:21, 9:9, 9:10, 9:16, 9:18, 9:22, 9:25, 9:26, 10:4, 10:7, 10:8, 10:10, 10:15, 13:24, 14:3, 15:21, 16:12, 22:17, 27:6, 27:16, 27:23, 27:28, 30:5, 30:26, 31:6, 34:28, 35:28, 36:7, 37:15, 37:22, 37:24, 39:11, 39:14, 39:23, 43:16, 43:22, 47:8, 53:13, 55:3, 55:16, 58:27, 70:7, 70:13
Cross [1] - 1:12
Cross-checks [1] - 1:12
cultures [1] - 2:17
current [4] - 10:26, 21:22, 59:26, 79:11
customers [2] - 35:20, 62:23
cut [1] - 82:26
cynical [1] - 60:18

D

damn [1] - 73:10
dangerous [2] - 39:19, 73:26
dangers [1] - 63:22
data [10] - 16:26, 16:28, 17:12, 21:2, 29:9, 29:21, 33:21, 33:23, 43:2, 67:2
databases [1] - 12:21
de [2] - 14:3, 24:22
deal [1] - 51:22
dealing [3] - 20:26, 57:27, 68:5
debt [33] - 17:23, 17:26, 18:9, 21:18, 21:20, 21:26, 24:12, 24:16, 37:14, 38:2, 38:3, 38:7, 40:15, 40:20, 45:9, 69:25, 69:28, 70:2, 71:4, 71:6, 71:8, 71:15, 75:3, 75:6, 81:27, 81:28, 82:2, 82:4, 82:6, 82:7, 82:10, 82:11
decade [1] - 13:27
decision [19] - 9:28, 11:16, 18:6, 18:25, 35:23, 37:18, 52:24, 58:21, 63:25, 66:20, 67:11, 69:8, 69:11, 76:5, 81:21, 84:26, 84:27, 84:28, 85:1
decisions [20] - 8:3, 12:3, 12:15, 12:16, 14:5, 14:7, 16:12, 16:25, 19:26, 22:21, 31:1, 31:15, 31:18, 31:20, 31:21, 33:13, 34:28, 59:15, 76:21, 78:16
decompose [3] - 41:11, 43:10, 45:17
decomposed [1] - 44:19
decomposition [6] - 45:25, 45:26, 46:6, 46:25, 47:6, 49:10
deep [1] - 84:4
deliberation [1] - 82:18
deliver [1] - 23:20
delivered [1] - 30:20
dependent [2] - 23:23, 24:10
depreciated [1] - 76:11
depreciation [10] - 4:23, 19:17, 20:5, 36:17, 36:21, 38:11, 38:19, 38:27, 39:5
described [2] - 18:3, 68:17
design [2] - 63:2, 63:15
detail [2] - 15:22, 54:19
determination [10] - 5:4, 5:9, 5:14, 6:2, 6:6, 6:14, 18:8, 37:20, 59:11, 76:1
determinations [3] - 30:23, 32:2, 37:8
determine [3] - 31:2, 33:4, 48:2
determined [1] - 75:4
determining [1] - 16:28
developed [2] - 17:18, 17:28
DGM [4] - 8:9, 61:22, 77:20, 77:26
diagnose [1] - 37:17
difference [6] - 5:27, 6:9, 32:16, 45:8, 51:27, 67:6
differences [9] - 7:16, 7:18, 32:8, 32:9, 32:12, 38:17, 53:5, 54:28, 57:23
different [44] - 4:1, 6:4, 6:7, 7:17, 16:17, 16:26, 17:3, 17:4, 17:16, 18:2, 20:8, 27:4, 29:9, 29:27, 33:8, 35:8, 37:3, 39:23, 41:1, 45:15, 52:2, 53:3, 53:4, 53:11, 53:12, 53:14, 55:7, 55:9, 55:10, 55:14, 57:26, 59:22, 59:23, 60:6, 61:16, 62:8, 62:17, 65:6, 65:7, 69:16, 72:17, 75:16, 75:19
differently [2] - 53:7, 81:17
difficult [11] - 12:19, 12:26, 13:3, 27:19, 41:13, 43:28, 44:6, 47:25, 50:22, 70:25, 85:16
difficulties [2] - 10:14, 44:3
Dinesh [51] - 1:23, 2:26, 15:8, 20:12, 23:10, 24:15, 25:7, 28:20, 29:25, 30:18, 32:4, 36:1, 40:8, 40:26, 43:23, 44:15, 44:23, 45:3, 45:19, 49:5, 50:10, 50:14, 50:27, 52:3, 52:12, 52:15, 54:26, 55:24, 56:16, 58:15, 59:7, 60:9, 61:13, 62:11, 63:19, 64:6, 64:27, 66:11, 68:20, 69:16, 69:26, 69:27, 70:16, 72:11, 72:21, 72:23, 74:20, 75:21, 81:11, 82:15, 82:28
Dinesh's [6] - 25:8, 25:28, 34:22, 34:27, 35:27, 52:19
direct [2] - 2:7, 46:13
direction [5] - 9:5, 14:4, 41:2, 71:19, 74:5
directions [1] - 34:19
directly [2] - 19:9, 75:25
Director [1] - 1:19
disagree [3] - 29:25, 51:15, 52:14
discount [3] - 46:8, 46:11, 46:26
discounting [1] - 46:27
discretionary [3] - 12:3, 12:15, 34:10
discussed [1] - 69:3
DISCUSSED [1] - 1:12
discussing [1] - 2:25
discussion [7] - 3:5, 3:7, 10:13, 16:15, 64:15, 69:12, 83:22
dismayed [1] - 51:10
distributed [1] - 68:20
distribution [1] - 12:16
divided [2] - 43:26, 85:19
dividend [4] - 12:16, 24:2, 26:15, 26:16
dodgy [1] - 32:22
dollar [2] - 76:8, 76:11
domestic [2] - 52:16, 52:20
done [8] - 7:23, 14:25, 18:13, 43:10, 49:20, 65:13, 73:27, 85:14
down [13] - 13:27, 23:25, 27:11, 36:22, 38:19, 40:23, 60:13, 67:20, 77:27, 78:25, 81:5, 81:8, 82:5
downward [1] - 78:17
Dr [3] - 1:21, 1:22, 1:23
DR [19] - 3:19, 26:27, 48:15, 49:11, 49:20, 52:13, 52:27, 56:16, 56:23, 57:3, 57:13, 58:13, 60:11, 68:16, 72:22, 73:5, 75:22, 77:2, 82:16
draft [3] - 84:26, 84:27
draw [3] - 21:2, 53:4, 53:15
drift [1] - 72:3
drive [3] - 32:7, 38:10, 50:6

driven [1] - 32:13
driver [1] - 41:20
drives [1] - 43:4
due [1] - 12:1

E

early [2] - 50:12, 80:21
earn [2] - 33:16, 78:22
easier [2] - 50:3, 58:22
easy [4] - 34:2, 72:27, 72:28, 73:1
echo [1] - 55:27
economic [1] - 81:3
economic [2] - 16:20, 33:7
effect [2] - 77:14, 77:17
effectively [1] - 21:19
effects [2] - 77:2, 78:4
efficiency [5] - 16:20, 35:9, 41:25, 53:25, 54:23
efficient [14] - 13:12, 13:13, 16:22, 25:10, 38:15, 39:3, 55:21, 56:17, 57:4, 57:10, 57:22, 81:28, 82:10, 82:11
either [5] - 17:8, 20:4, 30:16, 31:19, 33:15
elders [1] - 2:17
eliminated [1] - 53:23
embedded [1] - 45:5
emerging [1] - 2:18
emphasise [2] - 8:14, 75:23
emphasised [1] - 38:24
empire [2] - 42:27, 43:1
empirical [1] - 67:2
empty [1] - 20:28
ENA [3] - 59:3, 59:9, 61:26
ENA's [1] - 75:14
encouraging [1] - 33:24
end [12] - 3:22, 31:5, 34:12, 35:20, 37:19, 48:22, 48:28, 62:16, 67:18, 73:18, 83:20, 85:2
ending [1] - 63:24
enemy [1] - 10:6
energy [2] - 84:5, 85:10
Energy [1] - 35:4
ENERGY [1] - 1:9
engage [1] - 66:12
engaged [3] - 16:14, 16:18, 83:26
enjoyed [1] - 83:22
enterprise [6] - 12:24, 12:26, 15:17, 21:11, 44:19, 48:6
entire [1] - 31:12
entirely [2] - 41:19, 52:2
entities [1] - 14:19
entity [7] - 11:20, 11:21, 13:3, 24:20, 38:15, 39:3, 48:17
environment [2] - 22:2, 22:3

equal [4] - 5:3, 38:6, 38:14, 70:19
equals [1] - 4:25
equation [2] - 44:16, 45:18
equity [35] - 3:15, 6:4, 6:11, 6:17, 6:19, 7:6, 7:14, 8:2, 8:23, 9:1, 9:14, 10:19, 10:28, 11:4, 14:6, 19:21, 20:6, 23:14, 33:10, 36:18, 36:22, 36:26, 37:10, 37:14, 37:25, 38:10, 38:20, 38:28, 39:24, 61:8, 69:21, 69:24, 71:16, 72:16, 77:11
ERA [1] - 51:25
Eric [6] - 1:17, 44:12, 47:9, 47:21, 84:25, 85:3
error [10] - 9:13, 46:26, 47:7, 47:20, 48:8, 48:12, 48:26, 49:7, 49:9, 73:9
error-prone [1] - 47:20
errors [1] - 9:4
ESCOSA [1] - 19:1
Esmond [1] - 1:20
Essential [1] - 18:28
essentially [10] - 7:13, 16:9, 16:14, 16:19, 16:23, 18:5, 28:14, 29:11, 45:1, 50:1
established [2] - 50:3, 74:9
estimate [26] - 7:14, 9:21, 16:21, 29:5, 29:23, 29:28, 31:12, 36:25, 37:13, 46:11, 54:5, 55:21, 57:8, 58:5, 58:12, 65:20, 65:26, 66:9, 66:26, 68:10, 70:14, 74:7, 75:6, 81:18
estimated [4] - 36:3, 42:7, 69:19, 77:24
estimates [13] - 29:19, 29:27, 31:3, 31:8, 31:17, 36:25, 37:3, 39:16, 45:14, 58:8, 61:22, 77:26
estimating [2] - 55:11, 71:26
estimation [3] - 39:26, 73:7, 77:19
estimations [1] - 81:22
estimator [3] - 29:14, 66:15, 67:9
estimators [2] - 29:9, 29:20
et [1] - 77:20
Europe [1] - 52:8
EV [4] - 21:11, 22:7, 22:10, 22:22
event [1] - 47:27
eventually [2] - 30:7, 34:11
everywhere [1] - 57:22
EVIDENCE [1] - 1:10
evidence [4] - 7:24, 43:5, 80:19
Evidence [1] - 2:4

exactly [3] - 48:27, 51:6, 67:28
examining [1] - 3:12
example [10] - 4:17, 4:22, 6:8, 14:18, 37:5, 37:23, 61:2, 70:27, 71:17, 75:1
examples [1] - 54:27
exception [1] - 28:20
excess [12] - 21:16, 61:22, 64:11, 65:2, 65:3, 65:5, 65:23, 65:25, 66:1, 66:5, 66:7, 66:9
excessive [1] - 13:19
excessively [1] - 15:5
exclude [5] - 10:7, 12:14, 12:27, 54:7, 54:21
excluded [2] - 54:11, 55:13
exercise [4] - 8:6, 36:28, 50:22, 75:24
existing [4] - 44:20, 46:1, 53:27, 61:17
exists [1] - 35:7
expanding [1] - 30:6
expect [8] - 4:6, 5:5, 22:1, 24:4, 32:8, 69:24, 70:18
expectations [5] - 22:27, 40:1, 40:5, 56:11, 76:18
expected [8] - 16:8, 41:18, 41:22, 45:28, 65:18, 65:20, 66:5, 68:23
expenses [1] - 34:12
expensive [1] - 27:9
experience [2] - 16:18, 30:15
expert [1] - 44:27
expertise [1] - 83:28
experts [15] - 2:2, 2:24, 3:3, 15:7, 47:12, 49:16, 51:12, 59:1, 64:4, 64:26, 68:28, 74:15, 83:11, 83:19, 83:25
EXPERTS [1] - 1:21
experts' [1] - 79:10
explain [2] - 15:22, 67:6
explained [1] - 10:2
explaining [4] - 8:17, 37:21, 43:7, 70:21
explanation [2] - 19:21, 38:8
explanations [1] - 36:16
explicitly [2] - 36:27, 53:6
explore [1] - 58:24
explosion [1] - 63:23
expose [1] - 60:17
exposed [1] - 48:11
exposure [3] - 11:3, 11:6, 11:7
express [1] - 84:4
expressed [1] - 74:12
expression [1] - 60:18
extend [2] - 2:18, 83:24
extended [1] - 61:3
extending [1] - 29:25
extensive [1] - 33:18
extent [7] - 6:3, 8:7, 13:11, 17:2, 21:1, 32:13, 32:15

extra [1] - 85:22
extract [1] - 5:17
extracting [1] - 33:22
extreme [3] - 9:6, 11:18, 28:12
extremely [1] - 70:25
extremes [3] - 17:8, 22:14, 67:27

F

face [1] - 60:8
faced [1] - 40:17
facilitating [2] - 2:12, 85:15
FACILITATOR [1] - 1:14
fact [11] - 4:9, 6:16, 15:13, 28:17, 30:9, 39:23, 42:8, 55:6, 57:5, 71:27, 77:13
facto [1] - 14:3
factors [3] - 9:15, 12:7, 27:27
fail [3] - 19:16, 19:24, 19:27
failed [1] - 20:1
failure [3] - 20:3, 36:14, 38:9
fair [5] - 4:5, 21:5, 27:5, 51:11, 53:22
fairly [4] - 25:12, 53:9, 53:15, 77:23
fall [2] - 59:28, 68:23
fallen [1] - 10:17
falling [1] - 21:27
falls [1] - 67:20
familiar [2] - 59:8, 82:19
fan [1] - 60:13
far [1] - 20:18
FEBRUARY [1] - 1:26
Federal [1] - 35:4
feedback [1] - 73:24
few [5] - 5:18, 10:16, 47:28, 81:8, 82:18
figure [1] - 17:21
final [6] - 2:2, 55:25, 73:10, 77:16, 78:4, 85:1
finally [5] - 8:7, 8:14, 13:17, 14:12, 27:10
finance [2] - 33:11, 72:18
financeability [35] - 3:11, 3:25, 4:27, 10:12, 10:15, 11:10, 11:26, 12:5, 17:15, 17:16, 17:18, 18:4, 18:12, 18:27, 19:4, 19:11, 19:16, 19:24, 19:28, 20:26, 23:8, 23:9, 26:3, 26:24, 36:8, 36:9, 36:11, 36:13, 37:5, 37:23, 37:28, 38:5, 40:12, 43:23, 63:6
financial [3] - 22:19, 44:1, 63:4
Financial [1] - 1:20
financing [2] - 19:25, 81:9
fine [3] - 36:21, 37:20, 45:26
firm [10] - 10:27, 11:2,

11:10, 11:27, 12:3, 13:13, 14:26, 26:6, 40:15, 71:3
firms [9] - 5:18, 11:4, 12:20, 13:12, 14:21, 26:13, 26:20, 56:3, 72:17
first [22] - 2:6, 2:7, 3:21, 3:25, 5:12, 8:13, 15:27, 17:18, 18:23, 20:27, 28:25, 30:15, 38:22, 43:15, 46:4, 51:22, 54:7, 59:7, 59:8, 64:1, 64:8, 81:4
firstly [3] - 8:20, 9:7, 74:22
fit [1] - 12:22
five [4] - 3:6, 76:6, 76:12, 77:8
five-year [2] - 76:6, 77:8
fixed [3] - 61:9, 61:18, 76:3
flag [2] - 30:8, 31:20
flow [7] - 4:1, 6:10, 17:22, 19:19, 34:11, 62:17, 62:26
flows [11] - 4:19, 17:20, 18:14, 18:18, 18:21, 38:10, 46:27, 46:28, 50:5, 63:12
focus [1] - 63:24
fog [1] - 63:25
follow [4] - 13:20, 47:9, 55:14, 64:14
follow-on [1] - 47:9
follow-up [1] - 64:14
followed [1] - 28:26
following [1] - 29:22
force [1] - 24:22
forecast [3] - 3:28, 45:6, 67:23
forecasts [1] - 60:3
foreign [1] - 29:25
forgotten [1] - 45:12
form [3] - 26:11, 35:21, 58:27
forms [1] - 76:17
formulaically [5] - 10:11, 27:18, 27:21, 30:12, 31:14
fortunately [1] - 51:7
forward [7] - 3:28, 56:10, 58:21, 58:26, 59:4, 59:9, 85:8
four [10] - 66:20, 66:21, 66:23, 66:25, 66:27, 66:28, 67:4, 67:11, 78:9, 83:20
four-year [6] - 66:21, 66:23, 66:25, 66:27, 66:28, 67:11
fourth [1] - 2:1
framework [2] - 42:4, 62:27
free [9] - 69:17, 72:24, 72:26, 72:28, 77:28, 80:16, 80:26, 81:15, 81:20
front [1] - 84:12

Frontier [2] - 10:18, 10:24
Frontier's [1] - 10:13
fundamental [1] - 60:28
fundamentally [1] - 33:8
funds [1] - 56:28
future [17] - 15:27, 21:1,
22:25, 23:3, 23:24, 24:4,
44:21, 46:2, 59:25, 60:4,
60:8, 61:19, 65:19,
65:21, 75:20, 76:19,
76:26

G

game [5] - 25:21, 32:27,
33:5, 57:26, 84:7
gaming [2] - 25:21, 34:3
gearing [27] - 18:10, 19:7,
20:7, 23:10, 23:13,
23:15, 23:17, 23:19,
23:21, 23:22, 23:25,
24:5, 24:6, 24:10, 24:11,
24:13, 24:17, 24:18,
38:25, 39:1, 40:12,
40:13, 40:17, 40:19,
40:22, 69:21, 69:22
general [3] - 3:4, 26:28,
43:17
generally [2] - 3:22, 19:15
generate [1] - 18:18
generated [1] - 17:22
generous [2] - 5:5, 14:15
genuinely [1] - 56:1
geometric [8] - 64:10,
64:26, 65:4, 65:8, 65:15,
67:21, 68:2, 68:24
given [6] - 13:26, 14:1,
22:6, 58:19, 71:23,
83:10
Glenn [24] - 1:21, 2:26,
26:26, 30:13, 30:19,
34:22, 34:26, 36:23,
48:14, 49:6, 49:19,
50:16, 52:12, 56:13,
56:15, 60:10, 60:25,
62:2, 63:18, 68:15, 73:4,
77:1, 78:6, 82:15
Glenn's [3] - 35:25, 61:24,
82:25
global [2] - 56:22, 57:2
GM [1] - 1:16
goal [1] - 53:26
gored [2] - 60:16, 61:25
government [2] - 10:17,
61:18
grade [2] - 4:7, 23:28
Graham [32] - 1:24, 2:25,
24:21, 25:4, 26:26,
26:28, 32:4, 34:18,
38:24, 40:26, 41:2, 41:3,
41:6, 42:16, 43:12,
47:17, 48:19, 49:18,
51:23, 52:3, 63:16,
63:27, 67:12, 68:15,
68:17, 70:15, 72:6,
72:13, 72:15, 79:24,
80:2, 80:9

Graham's [4] - 35:10,
50:5, 50:18, 68:25
Granger [3] - 29:8, 29:12,
29:22
gratitude [1] - 84:4
great [2] - 30:15, 80:4
greater [3] - 5:8, 8:16,
41:21
grey [1] - 22:28
GROOM [3] - 44:13, 46:16,
47:11
Groom [1] - 1:17
grounds [1] - 9:12
growth [3] - 49:27, 50:26,
51:1
guaranteed [1] - 26:17
guess [18] - 3:25, 14:2,
31:23, 35:17, 44:7,
44:13, 44:23, 44:25,
46:16, 47:11, 52:4,
52:27, 57:7, 64:16,
69:22, 72:9, 74:14,
75:12
guessing [2] - 43:24,
73:19
guidance [1] - 47:23
guide [3] - 23:1, 23:2, 70:8

H

half [1] - 26:10
Hancock [1] - 1:22
HANCOCK [7] - 8:20,
34:26, 48:5, 53:18,
60:26, 66:13, 80:24
hand [5] - 3:18, 4:10, 4:11,
40:27, 83:1
handily [1] - 44:16
happy [1] - 34:23
hard [11] - 9:20, 21:7,
22:16, 39:25, 47:19,
48:15, 48:16, 50:16,
53:4, 61:28, 77:4
hard-coded [1] - 61:28
harder [1] - 48:16
hat [1] - 56:16
head [2] - 68:4, 77:5
heading [1] - 85:1
headroom [1] - 17:24
hear [4] - 30:16, 44:9,
59:4, 84:22
heard [5] - 26:23, 58:27,
84:16, 84:17, 84:20
hearing [4] - 43:14, 69:12,
72:9, 85:8
heavily [1] - 32:17
hedge [3] - 11:3, 11:6,
11:16
hedging [1] - 11:25
help [3] - 9:3, 37:17, 75:15
helpful [2] - 52:1, 75:25
hesitate [1] - 69:2
hi [1] - 64:7
hide [1] - 34:9
high [10] - 8:25, 15:5,
25:10, 31:19, 35:14,
39:13, 39:24, 53:19,

73:10, 79:12
higher [14] - 5:6, 17:9,
21:20, 21:21, 21:24,
32:1, 34:12, 54:2, 69:25,
70:18, 70:19, 78:22,
80:6, 81:9
highest [1] - 79:20
highlighted [2] - 84:9,
84:11
highly [1] - 35:13
historical [13] - 16:6,
61:21, 64:11, 65:2, 65:3,
65:5, 65:10, 65:15,
65:23, 65:25, 65:28,
66:7, 66:9
historically [1] - 10:17
history [3] - 65:12, 66:24,
82:19
hit [1] - 34:14
holders [1] - 71:16
holdings [1] - 26:19
hope [4] - 45:16, 46:17,
58:19, 83:23
horizon [1] - 82:14
hours [1] - 3:4
hubris [3] - 42:20, 42:22,
43:5
huge [2] - 39:15, 51:2
hugely [1] - 24:9
humble [1] - 33:1
hybrid [1] - 57:8
hypothesis [1] - 28:15
hypothetical [2] - 26:8,
26:9

I

idea [8] - 15:11, 28:10,
57:16, 57:17, 59:10,
59:21, 78:2, 83:10
ideal [1] - 12:18
idealised [1] - 12:11
identically [1] - 68:20
identified [2] - 9:19, 19:11
identifies [1] - 9:10
identify [1] - 28:12
idiosyncratic [1] - 14:18
ignominy [1] - 33:3
IID [2] - 68:19, 68:21
illustrates [1] - 67:16
illustration [1] - 67:16
imagine [1] - 3:4
immediately [2] - 13:20,
26:27
impact [4] - 14:22, 74:15,
76:7, 76:25
impacts [2] - 14:18, 76:26
imperfect [1] - 10:7
implement [1] - 81:25
implication [1] - 19:10
implications [1] - 10:25
implied [1] - 33:20
implies [1] - 10:27
important [20] - 4:11,
4:23, 4:28, 5:1, 9:8,
10:24, 12:5, 21:17, 23:9,
39:2, 42:14, 55:26,
55:28, 56:8, 76:21,
78:25, 80:12, 80:16,
80:22, 80:27
impose [1] - 63:9
impossible [1] - 41:14
impression [2] - 49:25,
76:22
in-the-round [1] - 74:4
incentive [4] - 7:2, 14:24,
52:6, 52:9
incentive-based [1] - 52:9
incentives [3] - 63:12,
78:20, 78:28
incentivisation [1] - 78:24
incentivise [1] - 63:7
inclined [1] - 63:17
include [2] - 10:8, 57:25
income [3] - 33:7, 34:5,
45:15
incomes [1] - 62:17
inconsistency [1] - 18:24
inconsistent [2] - 7:1,
54:8
increase [3] - 25:22,
77:24, 78:23
incurred [1] - 38:14
incurs [1] - 82:11
indeed [4] - 26:15, 31:13,
34:4, 46:28
independent [7] - 30:27,
31:8, 68:19, 73:14, 76:5,
84:26
independently [2] - 36:3,
69:19
indicator [1] - 9:22
indistinct [2] - 29:22,
58:15
individual [4] - 8:27,
37:11, 37:13, 73:22
industries [1] - 49:27
industry [4] - 32:18,
38:24, 38:26, 39:6
inferences [1] - 21:3
inflation [1] - 40:5
influence [1] - 78:13
inform [1] - 15:26
information [20] - 2:9,
3:10, 3:11, 15:13, 15:14,
16:1, 16:5, 16:7, 17:5,
19:4, 19:6, 19:7, 23:3,
26:10, 35:27, 47:1, 47:4,
47:14, 52:23, 84:19
informative [2] - 10:5,
60:27
informed [2] - 57:15,
57:19
input [2] - 63:1, 84:9
inputs [1] - 73:22
insensitive [1] - 25:15
insight [1] - 10:14
instalment [1] - 2:2
instrument [3] - 76:14,
79:11, 79:20
Instruments [1] - 2:3
INSTRUMENTS [1] - 1:10
insulates [1] - 71:15
intending [1] - 62:14

interdependencies [2] -
69:6, 73:7
interest [23] - 4:2, 10:16,
14:20, 21:21, 21:22,
21:27, 22:4, 25:27, 38:4,
38:5, 40:17, 54:22,
59:25, 59:26, 61:4, 61:6,
71:20, 74:12, 77:13,
77:25, 77:28, 80:7, 81:7
interested [10] - 30:2,
47:3, 47:11, 49:16,
58:28, 66:21, 69:12,
72:8, 74:14, 79:10
interesting [5] - 10:14,
44:9, 68:13, 77:3, 83:21
interests [4] - 35:20,
53:25, 53:27, 83:4
internal [3] - 18:5, 18:24,
33:20
international [2] - 56:25,
80:18
internationally [1] - 31:25
interpretation [2] - 10:9,
23:1
interval [2] - 27:25, 27:26
intrinsic [2] - 57:25, 57:28
introduced [1] - 49:9
introduces [2] - 46:25,
47:7
invest [2] - 57:1, 67:17
investing [1] - 40:3
investment [12] - 4:7,
23:28, 24:4, 33:13, 39:5,
56:12, 76:5, 76:8, 76:15,
76:21, 78:18, 83:7
investment-grade [1] - 4:7
investments [2] - 46:3,
63:8
investor [3] - 33:23, 46:12,
65:11
investors [15] - 17:26,
31:25, 33:15, 40:1, 40:2,
56:12, 56:20, 56:21,
56:22, 56:27, 59:18,
60:7, 65:13, 68:12,
76:16
investors' [1] - 33:19
involved [1] - 53:1
IPART [2] - 18:28, 20:17
Islander [1] - 2:20
isolation [1] - 12:12
issue [19] - 7:28, 10:13,
26:24, 30:9, 41:17, 48:1,
48:3, 49:3, 49:15, 49:17,
64:15, 64:27, 72:10,
75:4, 78:8, 81:5, 81:14,
82:3, 82:17
issues [6] - 64:2, 64:5,
64:8, 66:13, 67:5, 80:10
itself [2] - 21:13, 48:6

J

James [14] - 34:19, 34:23,
34:25, 35:17, 48:4,
53:17, 54:26, 60:25,
61:13, 66:11, 67:12,

67:16, 80:23, 81:11
Jim [21] - 1:17, 1:22, 2:26, 2:28, 8:19, 15:7, 15:16, 17:17, 18:2, 19:14, 30:11, 40:26, 40:28, 43:12, 54:27, 55:1, 58:17, 61:14, 68:17, 69:1, 72:6
Jim's [2] - 27:16, 81:25
job [6] - 34:16, 51:26, 63:19, 73:27, 83:3, 85:15
join [1] - 64:19
joining [2] - 2:6, 2:7
joking [1] - 58:22
Jonathan [27] - 1:19, 1:23, 2:26, 20:23, 24:21, 24:23, 25:12, 26:4, 28:9, 38:21, 40:9, 41:8, 55:24, 56:13, 62:11, 63:16, 63:18, 69:26, 70:3, 70:15, 73:11, 78:6, 79:7, 80:9, 80:23, 81:12, 81:23
Jonathan's [2] - 40:13, 45:7
judgement [6] - 9:24, 10:1, 10:2, 22:16, 28:28, 37:1
judgements [2] - 22:20, 37:12
judgments [2] - 22:24, 54:21
jurisdictions [5] - 7:17, 25:18, 32:1, 53:1, 57:1
Justin [2] - 1:18, 58:17

K

keen [7] - 36:1, 40:2, 51:13, 51:19, 58:24, 59:4, 84:22
keep [4] - 30:6, 30:9, 33:3, 78:24
keeps [1] - 31:24
key [2] - 19:3, 81:13
kick [2] - 3:18, 69:14
kind [10] - 7:9, 27:3, 27:12, 27:15, 29:12, 29:28, 58:7, 77:5, 77:17, 78:2
kinds [3] - 60:23, 73:7, 73:23
KPMG [1] - 45:11
Kumareswaran [1] - 1:23
KUMARESWARAN [30] - 15:9, 20:15, 30:19, 36:6, 37:27, 38:12, 40:10, 45:20, 45:23, 46:19, 49:6, 49:12, 50:15, 52:4, 54:27, 56:19, 56:24, 57:11, 57:27, 59:10, 61:14, 64:7, 64:28, 69:17, 70:1, 72:12, 72:15, 74:21, 81:12, 83:2

L

lack [1] - 51:10
land [1] - 2:16
large [2] - 4:17, 63:11
larger [1] - 48:10
last [9] - 2:21, 6:16, 10:16, 13:27, 29:13, 52:15, 64:16, 82:18, 85:11
laudable [1] - 74:25
lead [1] - 25:20
leads [1] - 25:20
leases [2] - 70:28, 71:1
least [8] - 29:3, 32:28, 45:16, 46:17, 54:14, 67:2, 72:23, 76:10
leave [5] - 49:15, 50:12, 51:4, 79:16, 83:14
led [1] - 77:23
left [4] - 38:20, 47:3, 49:2, 61:4
legacy [1] - 12:14
legislation [2] - 53:3, 54:25
legislative [2] - 35:11, 35:22
lenders [2] - 11:19, 11:24
length [1] - 68:5
less [3] - 26:9, 34:6, 49:24
lessons [1] - 54:10
level [15] - 8:25, 8:26, 14:26, 18:10, 24:13, 38:24, 40:16, 40:18, 40:22, 48:7, 53:19, 61:10, 79:12, 79:21
levels [4] - 10:18, 39:21, 59:26, 72:17
leverage [17] - 25:7, 25:9, 25:11, 25:15, 25:16, 25:19, 25:21, 25:25, 70:17, 70:18, 70:26, 71:3, 71:10, 71:17, 71:25, 72:4, 72:17
liability [1] - 71:2
light [2] - 32:26, 61:11
likely [3] - 28:8, 40:4, 42:1
likewise [2] - 22:1, 38:12
limited [2] - 30:6, 44:2
line [11] - 5:22, 8:4, 31:19, 37:9, 37:10, 43:15, 43:20, 43:21, 53:4, 58:9, 77:4
list [3] - 24:25, 50:6, 50:13
listed [3] - 5:20, 26:19, 45:3
listening [1] - 84:19
literature [4] - 33:18, 33:21, 67:13, 67:28
living [2] - 82:17, 82:21
loans [1] - 11:21
local [1] - 27:11
locked [1] - 52:22
logic [2] - 9:8, 38:15
long-term [2] - 35:19, 54:22
look [52] - 4:19, 5:19, 6:22, 7:3, 7:11, 8:2, 15:4,

16:25, 17:19, 22:21, 23:13, 25:2, 30:5, 30:22, 31:9, 31:16, 31:18, 31:26, 35:1, 37:8, 37:11, 38:23, 39:25, 39:28, 44:26, 45:2, 46:9, 46:14, 46:19, 46:20, 53:10, 53:28, 54:6, 55:22, 56:28, 57:6, 57:14, 58:8, 60:5, 60:13, 61:16, 61:19, 65:14, 67:5, 69:9, 70:11, 73:13, 73:16, 76:16, 85:7
looked [6] - 11:26, 43:3, 47:28, 52:28, 69:23, 75:4
looking [9] - 6:12, 7:22, 28:14, 44:15, 51:16, 56:21, 56:27, 61:3, 65:11
looks [3] - 14:8, 28:26, 39:12
loop [1] - 52:22
lose [2] - 63:24, 71:21
loss [2] - 11:15, 11:24
low [15] - 10:17, 11:7, 15:5, 18:21, 19:18, 19:19, 19:22, 31:19, 36:17, 36:19, 39:14, 39:25, 41:15, 61:3, 81:6
LOWE [2] - 49:14, 74:3
Lowe [1] - 1:18
lower [14] - 10:19, 10:20, 10:21, 13:14, 17:8, 22:2, 28:3, 32:2, 34:13, 48:7, 59:28, 77:11, 78:19, 80:7
loyalties [1] - 85:20

M

magic [1] - 43:9
magnificent [1] - 85:15
magnitudes [1] - 32:22
main [1] - 45:23
maintain [5] - 4:24, 17:24, 18:19, 18:22, 23:28
maintaining [1] - 78:21
makers [1] - 35:23
man [1] - 60:12
manage [6] - 24:12, 26:13, 26:21, 33:27, 62:24
management [6] - 23:26, 24:3, 26:4, 26:5, 82:1, 82:12
managers [2] - 42:22, 42:26
managing [2] - 63:8, 81:27
manipulate [1] - 34:3
market [26] - 5:6, 11:16, 12:11, 16:22, 21:23, 22:19, 32:6, 39:28, 40:7, 55:11, 59:19, 59:24, 61:6, 64:11, 65:20, 65:26, 66:10, 69:5, 69:18, 70:2, 71:7, 77:19, 77:24, 81:15, 81:18,

82:5
Martin [4] - 29:13, 31:24, 64:8, 64:17
mass [1] - 28:13
match [2] - 31:14, 82:10
material [6] - 31:11, 75:17, 77:2, 77:15, 77:23, 78:5
materiality [2] - 74:15, 75:12
matter [2] - 40:21, 72:1
MATTERS [1] - 1:12
maximisation [1] - 79:2
maximum [1] - 35:6
mean [29] - 3:26, 6:16, 7:26, 11:21, 11:22, 18:6, 21:9, 29:18, 40:6, 42:21, 47:1, 50:28, 53:3, 53:12, 54:4, 57:1, 62:2, 64:27, 65:4, 65:8, 65:22, 66:15, 69:2, 69:8, 70:1, 73:8, 74:3, 77:15
meanings [1] - 65:6
means [20] - 4:18, 6:6, 6:20, 11:23, 17:17, 20:2, 21:26, 34:9, 56:4, 63:9, 64:10, 65:15, 68:24, 70:23, 71:17, 71:19, 71:25, 72:25, 76:24, 78:18
meant [1] - 52:18
measure [9] - 16:4, 21:8, 22:28, 23:11, 23:12, 24:6, 39:4, 39:8, 65:21
measured [1] - 78:11
measurement [5] - 9:4, 9:18, 70:25, 71:5, 78:27
measures [4] - 3:10, 21:6, 22:15, 32:24
measuring [4] - 33:26, 64:11, 65:2, 71:10
mechanical [3] - 9:27, 73:1, 73:2
mechanistic [3] - 58:3, 58:13, 59:16
medium [1] - 56:11
meet [2] - 4:16, 17:23
Member [5] - 1:17, 1:17, 1:18, 1:18, 1:19
members [6] - 3:3, 58:20, 64:3, 68:28, 83:18, 83:24
mental [1] - 77:5
mentioned [4] - 28:9, 41:28, 53:21, 70:16
merely [1] - 63:14
merit [2] - 32:21, 47:18
message [1] - 15:3
method [8] - 17:13, 55:4, 55:5, 61:17, 74:23, 74:27, 75:7, 75:26
methodological [3] - 54:9, 55:1, 55:15
methodologies [4] - 50:4, 57:15, 59:22, 60:6
methodology [5] - 46:17, 51:28, 55:10, 59:12, 59:19
methods [14] - 16:27,

17:1, 17:11, 29:9, 31:1, 32:7, 32:21, 53:11, 53:14, 55:7, 55:17, 55:22, 58:11, 61:16
metric [4] - 11:27, 12:5, 12:7, 65:14
metrics [4] - 4:1, 4:16, 4:25, 19:8
middle [4] - 17:6, 22:15, 28:13, 84:28
might [58] - 2:7, 3:15, 3:17, 3:19, 4:4, 6:3, 6:20, 6:21, 7:25, 11:28, 14:13, 14:21, 16:17, 16:26, 17:1, 19:16, 20:28, 22:1, 24:16, 30:14, 31:4, 33:27, 37:18, 37:19, 37:24, 40:27, 41:24, 43:16, 43:28, 47:24, 49:9, 50:9, 50:19, 51:2, 51:18, 54:9, 54:14, 55:18, 58:22, 59:13, 59:18, 59:22, 59:23, 60:4, 60:8, 61:23, 64:12, 64:19, 70:6, 70:10, 74:10, 78:23, 79:18, 79:27, 81:1, 82:5
Mine [1] - 72:12
mine's [1] - 74:3
minimisation [1] - 79:2
minus [1] - 67:20
minutes [1] - 85:22
Mirrlees [1] - 1:23
MIRRLEES [7] - 20:24, 38:22, 55:25, 62:12, 70:4, 78:7, 80:10
Mirrlees-Black [1] - 1:23
MIRRLEES-BLACK [7] - 20:24, 38:22, 55:25, 62:12, 70:4, 78:7, 80:10
mis [1] - 8:24
mis-specification [1] - 8:24
missed [1] - 7:25
mistake [2] - 17:2, 76:25
mixing [1] - 36:10
mobile [2] - 31:25, 56:26
model [10] - 8:11, 18:18, 19:9, 38:16, 39:19, 47:21, 50:5, 57:24, 61:25, 75:14
modelled [1] - 18:17
modelling [1] - 62:3
models [8] - 8:8, 8:13, 16:26, 17:1, 17:12, 29:21, 37:3, 63:6
moderated [1] - 74:26
modify [1] - 77:26
moment [4] - 21:15, 21:27, 72:2, 77:16
monetary [1] - 10:22
money [4] - 22:10, 27:8, 27:18, 31:27
monopolists [1] - 34:5
months [1] - 82:18
morning [3] - 39:15, 80:14, 82:22
most [9] - 25:8, 26:9, 28:4,

29:16, 43:24, 51:12,
56:28, 74:7, 81:18
mountain [1] - 80:1
move [2] - 44:12, 84:13
moved [1] - 11:17
movements [1] - 14:20
moving [2] - 58:16, 73:15
MR [52] - 8:20, 15:9,
20:15, 20:24, 30:19,
34:26, 36:6, 37:27,
38:12, 38:22, 40:10,
41:1, 41:5, 43:13, 44:13,
45:20, 45:23, 46:16,
46:19, 47:11, 48:5, 49:6,
49:12, 50:15, 52:4,
53:18, 54:27, 55:25,
56:19, 56:24, 57:11,
57:27, 59:10, 60:26,
61:14, 62:12, 64:7,
64:28, 66:13, 69:2,
69:17, 70:1, 70:4, 72:8,
72:12, 72:15, 74:21,
78:7, 80:10, 80:24,
81:12, 83:2
MRP [9] - 8:9, 39:17,
72:23, 72:27, 73:2,
80:14, 80:15, 80:25,
81:21
MS [91] - 2:1, 8:19, 15:7,
20:12, 20:23, 24:21,
25:2, 26:26, 30:13, 32:4,
34:18, 34:21, 34:25,
35:17, 35:24, 37:23,
38:11, 38:21, 40:8,
40:26, 41:3, 41:6, 42:16,
43:12, 44:10, 45:22,
47:9, 47:17, 48:4, 48:14,
49:5, 49:13, 49:14,
49:19, 50:9, 50:27,
50:28, 51:21, 52:3,
52:12, 52:26, 53:17,
54:26, 55:24, 56:13,
58:15, 59:6, 60:9, 60:25,
61:13, 62:11, 63:16,
63:27, 64:21, 66:11,
67:12, 68:15, 68:27,
69:14, 69:26, 69:27,
70:3, 70:15, 72:6, 72:11,
72:14, 72:21, 73:4, 74:1,
74:3, 74:19, 75:21,
76:28, 78:6, 79:7, 79:8,
79:22, 80:2, 80:9, 80:23,
81:11, 82:15, 82:24,
82:28, 83:8, 83:9, 83:14,
83:16, 84:4, 85:18,
85:21
multiple [12] - 5:8, 8:12,
13:18, 15:18, 20:25,
22:7, 22:10, 46:9, 46:15,
48:23, 49:8, 57:6
multiples [26] - 3:13, 5:2,
5:12, 5:17, 5:23, 12:9,
13:23, 14:1, 15:11,
15:21, 20:26, 21:16,
21:28, 22:2, 22:3, 22:20,
22:23, 23:7, 41:10,
41:11, 43:26, 44:15,
45:24, 46:20, 47:15,

49:15
museum [1] - 27:11
must [3] - 19:12, 20:3,
25:28
mysterious [1] - 33:4

N

name [1] - 45:12
narrowly [1] - 76:2
natural [1] - 24:2
naturally [1] - 23:25
nature [1] - 83:25
necessarily [6] - 11:22,
41:13, 53:10, 62:28,
67:10, 78:12
necessary [1] - 73:28
need [20] - 9:9, 9:11, 9:15,
9:22, 12:14, 14:16,
14:23, 23:19, 46:9,
46:14, 50:21, 54:3,
56:11, 62:8, 63:13,
69:19, 70:10, 73:12,
77:6
needed [2] - 9:24, 56:9
needs [12] - 10:2, 10:10,
12:27, 16:10, 18:25,
30:5, 50:11, 50:20,
62:25, 74:26, 80:13,
80:17
negative [1] - 10:27
negatively [1] - 80:26
net [4] - 29:21, 53:9,
53:15, 71:8
network [7] - 12:15, 42:11,
49:26, 51:8, 52:13,
53:27, 75:8
Network [1] - 1:16
networks [9] - 3:26, 10:25,
12:12, 29:7, 41:24, 42:2,
71:24, 80:7, 85:4
neutral [1] - 4:27
never [2] - 63:24, 66:16
never-ending [1] - 63:24
New [7] - 52:7, 53:28,
54:1, 54:3, 54:28, 55:8,
56:6
new [2] - 52:23, 83:2
next [11] - 6:21, 6:26, 7:6,
50:13, 50:14, 67:19,
68:11, 76:9, 80:19,
81:23, 84:14
nice [1] - 5:2
nipping [1] - 27:11
no-one [1] - 33:4
nobody's [2] - 32:11,
41:28
nominal [1] - 10:19
non [1] - 68:18
non-zero [1] - 68:18
none [1] - 19:3
nonregulated [4] - 12:13,
48:9, 48:10, 48:13
nonviable [1] - 11:23
normal [2] - 23:22, 32:10
normality [1] - 60:22
North [1] - 35:3

note [5] - 28:22, 40:26,
64:8, 64:9, 64:23
noted [1] - 3:13
nothing [7] - 4:21, 6:15,
15:18, 28:1, 33:14,
35:16, 46:1
notice [1] - 23:9
notional [11] - 23:10,
23:15, 23:17, 24:5, 24:6,
24:10, 24:17, 38:25,
39:1, 40:16
NPV [3] - 4:25, 4:27, 42:4
NPV-neutral [1] - 4:27
nuanced [1] - 22:16
null [1] - 28:16
number [16] - 23:5, 25:11,
25:12, 30:6, 30:10, 35:2,
39:22, 44:20, 48:24,
56:3, 67:3, 67:26, 70:8,
70:11, 73:25
numbers [4] - 54:11,
57:19, 57:20, 77:16
numerator [2] - 45:27,
50:19

O

objecting [1] - 58:14
objective [5] - 35:9, 35:21,
53:7, 54:23, 54:25
objectives [2] - 32:7,
74:25
obligations [2] - 17:23,
40:15
observable [1] - 48:19
observation [2] - 35:17,
82:26
observations [1] - 30:26
observe [2] - 12:11, 66:16
observed [2] - 14:21,
57:23
obtain [1] - 3:12
obvious [2] - 51:24, 52:7
obviously [6] - 25:9,
47:18, 58:26, 59:3, 84:6,
85:19
occur [3] - 71:18, 77:22,
78:18
occurred [1] - 71:13
OF [2] - 1:8, 1:10
offer [2] - 32:1, 32:3
office [1] - 33:1
offset [1] - 77:12
offsetting [2] - 77:17, 78:3
often [1] - 62:5
old [1] - 83:1
Oliver [1] - 1:18
omnibus [1] - 16:16
on-the-day [2] - 75:2, 75:5
once [3] - 14:27, 24:28,
75:28
one [70] - 2:11, 3:26, 4:10,
5:8, 5:11, 6:6, 6:18,
6:23, 7:10, 9:5, 15:5,
16:24, 19:17, 21:16,
21:28, 25:8, 28:20,
28:22, 28:26, 30:7,

30:21, 30:24, 31:23,
33:4, 33:24, 35:17,
35:20, 36:16, 36:28,
37:4, 39:21, 41:21,
41:26, 42:15, 43:19,
45:4, 45:7, 45:13, 50:6,
50:18, 51:7, 52:21,
55:25, 56:20, 59:24,
59:26, 59:27, 61:2,
63:21, 64:9, 65:28, 66:3,
66:14, 67:4, 67:8, 67:9,
67:14, 69:9, 69:22,
70:11, 71:11, 71:18,
74:8, 77:21, 78:7, 79:13,
79:23, 83:2
one's [2] - 57:13, 77:5
one-by-one [1] - 69:9
one-year [3] - 67:4, 67:8,
67:9
ones [9] - 29:26, 45:3,
52:5, 52:7, 52:15, 52:16,
52:17, 76:26
open [6] - 41:10, 42:13,
79:13, 79:16, 79:18
operating [2] - 70:28, 71:1
operations [1] - 63:9
OpEx [6] - 6:9, 13:22,
38:13, 38:14, 38:17
opinions [1] - 22:22
opportunities [3] - 49:27,
50:26, 51:2
opportunity [3] - 74:20,
83:17, 84:18
opposite [2] - 27:13, 74:5
optimal [1] - 68:3
option [3] - 36:28, 37:2,
49:23
options [14] - 42:1, 42:2,
42:3, 42:5, 42:9, 42:10,
47:24, 49:17, 49:21,
49:24, 49:28, 50:4,
50:16, 50:23
order [5] - 25:22, 26:11,
27:9, 62:26, 63:12
otherwise [3] - 10:21,
52:22, 59:2
ourselves [1] - 69:10
outcome [6] - 12:2, 40:13,
40:24, 74:13, 74:23,
75:26
outcomes [1] - 75:10
outlier [1] - 17:8
outlined [1] - 15:16
outlying [1] - 17:14
outperformance [15] -
6:24, 14:12, 14:14,
14:25, 14:27, 15:2,
22:26, 41:18, 41:19,
41:22, 41:23, 44:21,
45:5, 46:2, 46:3
outperformed [2] - 3:15,
6:14
Overall [1] - 1:13
overall [14] - 2:24, 3:1,
5:3, 23:20, 27:4, 29:24,
37:9, 69:8, 70:8, 70:13,
78:4, 79:1, 79:4, 79:5
overarching [2] - 9:2,

53:26
overestimate [1] - 42:24
overseas [5] - 31:10,
34:28, 52:4, 52:16,
56:21
own [5] - 28:28, 29:17,
29:20, 29:21, 57:18
owner [2] - 12:16, 46:21
owners [7] - 2:14, 4:8,
11:14, 11:23, 11:24,
35:13, 53:27
ownership [1] - 56:3
ox [2] - 60:15, 61:24

P

pack [1] - 17:6
package [2] - 79:5
paid [1] - 7:26
pandemic [1] - 10:23
panel [1] - 84:27
paper [3] - 16:16, 64:24,
84:19
parameter [6] - 9:16, 14:8,
31:2, 39:20, 69:3, 69:4
parameters [9] - 3:27,
8:27, 37:11, 37:13,
59:13, 60:22, 69:7, 70:6,
73:8
park [1] - 56:27
part [7] - 7:4, 7:15, 50:1,
56:14, 73:17, 76:17,
79:13
participate [1] - 84:7
particular [8] - 11:25,
14:22, 24:19, 59:19,
77:27, 80:20, 83:25,
85:13
particularly [6] - 9:6, 17:5,
34:27, 48:17, 80:25,
85:18
PARTINGTON [14] -
24:22, 25:5, 32:5, 41:7,
42:17, 47:18, 51:24,
63:17, 67:13, 70:16,
79:25, 80:3, 82:25,
85:12
Partington [2] - 1:24,
49:18
partly [1] - 56:6
parts [7] - 12:13, 13:1,
13:2, 13:4, 13:5, 73:15,
79:14
pass [1] - 13:14
past [7] - 2:18, 7:3, 12:15,
69:24, 70:21, 71:27,
77:22
path [1] - 25:3
pause [2] - 17:11, 31:21
pay [2] - 2:16, 7:27
paying [1] - 27:8
payments [1] - 4:2
people [9] - 2:20, 26:24,
43:24, 43:27, 49:22,
54:7, 72:23, 84:5, 85:8
per [10] - 32:9, 40:23,
40:24, 48:21, 64:23,

67:19, 67:20, 67:22, 67:24, 68:10
percentile [2] - 54:2, 55:9
perfect [2] - 10:5, 22:28
perform [1] - 59:23
performance [2] - 14:17, 79:20
performing [1] - 79:11
perhaps [8] - 45:4, 54:12, 57:15, 58:20, 67:15, 74:17, 78:13, 78:15
period [13] - 3:28, 6:26, 6:27, 19:20, 59:17, 61:3, 65:10, 65:12, 66:28, 68:5, 76:6, 76:10, 76:26
periods [1] - 15:27
persistent [2] - 14:12, 14:13
perspective [3] - 4:20, 9:2, 75:28
persuade [1] - 69:10
pervasive [2] - 41:21, 41:23
phenomenon [1] - 68:17
pick [5] - 8:23, 9:3, 48:24, 67:26, 84:16
piece [1] - 10:13
itches [1] - 54:1
pitching [1] - 54:4
place [4] - 8:13, 18:24, 36:2, 59:13
plain [1] - 25:14
plan [1] - 26:16
plane [1] - 51:6
plans [1] - 23:24
plausible [2] - 59:24
play [1] - 3:11
players [1] - 32:28
playing [1] - 73:26
point [36] - 7:8, 15:8, 19:14, 26:20, 27:15, 28:11, 28:15, 33:6, 35:22, 36:25, 39:23, 40:11, 41:26, 41:27, 45:8, 46:4, 46:5, 52:19, 52:25, 53:2, 55:6, 55:26, 56:19, 57:3, 58:16, 61:7, 61:24, 67:16, 69:13, 70:23, 74:22, 75:13, 81:3, 81:8, 81:25, 82:9
pointed [1] - 25:13
points [5] - 34:22, 34:27, 64:14, 74:22, 83:18
policies [1] - 34:5
policy [3] - 10:22, 24:2, 26:15
portfolios [1] - 81:27
position [2] - 11:25, 49:2
positions [1] - 44:11
possible [20] - 9:12, 11:14, 11:17, 11:19, 12:8, 12:23, 19:20, 19:23, 36:15, 36:25, 39:12, 41:19, 49:26, 59:5, 60:2, 60:3, 62:9, 77:21, 81:1, 81:5
possibly [5] - 38:8, 42:6, 44:3, 74:4, 77:23
post [2] - 18:17, 38:16
post-tax [2] - 18:17, 38:16
potential [1] - 37:18
potentially [7] - 7:10, 12:25, 27:28, 35:8, 35:11, 60:26, 76:26
power [1] - 82:26
practical [3] - 10:25, 15:25, 16:2
practicality [1] - 44:14
practically [1] - 24:23
practice [3] - 12:19, 15:12, 15:14
practitioners [3] - 22:19, 22:24, 44:26
preamble [2] - 2:9, 2:22
precautionary [1] - 26:19
precise [1] - 55:17
precisely [3] - 55:7, 55:12, 75:15
precision [2] - 27:13, 27:14
predetermined [1] - 9:27
predictability [1] - 74:24
predictably [1] - 3:9
preferable [1] - 62:4
premia [3] - 13:9, 13:10, 13:16
premium [15] - 43:4, 43:8, 55:11, 61:7, 61:18, 64:12, 65:21, 65:26, 66:10, 69:5, 69:18, 77:19, 77:24, 81:16, 81:19
premiums [4] - 5:22, 42:18, 42:19, 43:7
present [5] - 2:18, 2:20, 4:14, 4:28, 45:28
PRESENT [2] - 1:16, 1:21
presentations [1] - 2:28
pressure [1] - 78:17
presumably [1] - 69:27
presume [2] - 64:24, 69:15
pretty [7] - 27:18, 32:22, 41:7, 45:2, 54:16, 73:10, 74:8
prevailing [5] - 61:17, 69:25, 70:1, 82:4, 82:8
previous [3] - 2:8, 10:20, 39:17
previously [1] - 21:21
price [3] - 5:27, 42:13, 67:20
prices [1] - 12:12
Pricing [1] - 1:16
principal [1] - 40:19
principle [5] - 28:5, 28:7, 61:1, 61:10, 62:12
priorities [1] - 83:11
private [1] - 56:7
probability [1] - 41:15
problem [26] - 4:20, 11:10, 19:11, 19:12, 20:9, 20:10, 20:11, 22:8, 22:11, 25:17, 26:1, 26:5, 27:10, 28:17, 28:18, 29:11, 37:4, 37:18, 39:12, 47:12, 47:13, 62:4, 71:5, 71:7, 82:13, 82:23
problems [7] - 11:27, 12:1, 15:25, 16:3, 28:12, 30:21, 30:25
procedural [1] - 24:24
procedure [1] - 71:14
PROCEEDINGS [1] - 1:8
process [10] - 2:10, 16:28, 28:26, 29:17, 37:19, 49:10, 80:12, 84:2, 84:13, 84:24
process-wise [1] - 84:24
produce [2] - 9:6, 61:23
produced [2] - 31:4, 31:17
producing [3] - 17:4, 17:14, 58:10
PROFESSOR [14] - 24:22, 25:5, 32:5, 41:7, 42:17, 47:18, 51:24, 63:17, 67:13, 70:16, 79:25, 80:3, 82:25, 85:12
Professor [1] - 1:24
profile [1] - 4:23
profiles [1] - 39:5
profitability [9] - 15:24, 15:26, 15:28, 16:4, 16:7, 32:23, 33:26, 34:11, 34:16
profitable [1] - 34:6
profits [1] - 34:2
program [2] - 4:18, 24:19
programs [1] - 24:4
progress [1] - 85:9
promise [2] - 21:25, 23:18
promote [2] - 3:9, 16:19
prompt [1] - 58:10
prone [1] - 47:20
proper [3] - 31:6, 47:8, 60:20
properly [3] - 13:7, 13:25, 73:27
proportion [2] - 71:16, 82:2
proposal [2] - 9:14, 20:20
propose [1] - 66:22
proposed [5] - 3:27, 9:9, 74:16, 77:8, 77:21
prospects [1] - 48:7
protective [1] - 35:13
provide [6] - 8:25, 8:28, 15:12, 63:1, 70:8, 78:24
provided [3] - 44:16, 46:21, 52:23
provocative [3] - 79:8, 79:9, 79:22
pruned [1] - 63:26
publicly [2] - 48:18
purely [2] - 24:6, 30:8
purpose [2] - 62:14, 66:18
purposes [3] - 4:14, 4:28, 65:7
pursue [2] - 43:27, 44:1
pursuing [1] - 53:24
put [14] - 31:27, 45:18, 50:13, 51:3, 58:26, 59:3, 59:9, 61:26, 61:28, 63:21, 73:15, 73:24, 78:17, 81:19
putting [2] - 56:16, 73:22

Q

quality [2] - 29:14, 29:23
quantify [3] - 28:5, 28:6, 48:27
questions [15] - 3:6, 3:17, 3:20, 3:24, 24:25, 24:28, 37:17, 47:10, 58:11, 61:1, 79:9, 83:12, 83:17, 84:11, 85:13
quick [1] - 72:12
quickly [3] - 30:17, 33:28, 50:15
quite [19] - 18:1, 33:18, 33:21, 34:2, 36:23, 36:24, 36:27, 42:1, 42:14, 47:25, 51:5, 51:19, 53:1, 53:4, 59:14, 59:15, 65:6, 65:7, 72:4
quo [1] - 75:18

R

RAB [41] - 3:13, 5:2, 5:12, 5:17, 13:23, 14:1, 14:8, 15:11, 15:18, 15:20, 20:25, 20:26, 21:8, 21:12, 21:13, 21:15, 21:24, 21:28, 22:2, 22:3, 22:7, 22:10, 22:22, 23:6, 41:9, 41:11, 43:26, 44:15, 45:23, 46:1, 46:9, 46:14, 46:19, 47:15, 48:23, 49:1, 49:7, 49:15, 50:7, 52:10
RAB-based [1] - 52:10
RABs [2] - 26:25, 41:21
raft [1] - 32:6
raise [3] - 37:23, 64:5, 69:1
raised [2] - 49:18, 64:8
range [7] - 9:15, 27:24, 36:24, 37:1, 48:28, 53:1, 74:9
rapid [1] - 4:17
RATE [1] - 1:10
Rate [1] - 2:3
rate [77] - 1:13, 2:24, 3:1, 3:16, 4:12, 4:21, 5:15, 6:5, 6:25, 6:26, 10:16, 10:19, 11:3, 11:5, 11:13, 12:1, 13:14, 13:20, 14:6, 14:10, 14:28, 15:19, 18:7, 18:20, 20:8, 25:22, 26:1, 28:2, 29:5, 29:6, 30:1, 33:15, 33:16, 33:20, 35:5, 37:24, 37:25, 38:28, 39:13, 46:8, 46:10, 46:11, 46:26, 50:28, 51:2, 54:5, 58:12, 59:12, 59:16, 60:5, 61:5, 61:6, 61:8, 66:21, 67:4, 67:8, 67:9, 69:11, 69:17, 70:2, 71:20, 72:24, 72:26, 72:28, 73:10, 73:13, 75:2, 75:5, 76:14, 77:28, 80:6, 80:16, 80:27, 81:15, 81:20, 82:8
rates [18] - 11:7, 13:28, 14:20, 21:22, 21:28, 22:4, 33:23, 35:6, 35:14, 59:25, 59:27, 61:4, 66:23, 66:25, 66:27, 77:13, 77:25, 81:7
rather [5] - 5:26, 20:21, 24:27, 30:11, 37:25
rating [14] - 4:4, 4:7, 4:9, 4:19, 17:19, 17:25, 17:28, 18:9, 18:19, 18:22, 19:27, 24:1, 26:10
ratings [1] - 10:28
ratio [3] - 25:25, 47:3, 50:20
rationales [1] - 56:20
rationalised [1] - 9:12
ratios [3] - 4:2, 24:16, 25:22
RBA's [1] - 10:22
re [1] - 37:2
re-weight [1] - 37:2
reach [2] - 14:16, 53:12
reading [1] - 49:25
real [19] - 8:1, 8:2, 42:1, 42:2, 42:3, 42:5, 42:9, 47:13, 47:24, 48:1, 48:3, 49:17, 49:20, 49:22, 49:23, 49:27, 50:4, 50:15, 50:23
realise [1] - 13:12
realised [2] - 22:3, 65:10
realistic [1] - 9:26
reality [1] - 62:9
really [55] - 4:13, 4:28, 5:16, 5:19, 6:15, 7:5, 7:13, 7:20, 8:1, 12:6, 14:2, 15:1, 16:8, 21:1, 25:10, 25:11, 26:28, 27:3, 28:15, 30:27, 31:6, 31:11, 32:25, 34:7, 43:14, 44:6, 44:16, 47:20, 56:4, 57:17, 57:21, 58:24, 63:20, 73:14, 75:23, 76:6, 76:15, 76:20, 76:24, 77:3, 77:4, 78:1, 80:11, 80:16, 80:22, 81:2, 81:13, 82:13, 82:16, 83:9, 83:22, 84:4, 84:8
reason [8] - 16:13, 16:24, 25:16, 31:23, 33:14, 37:27, 53:23, 80:5
reasonable [8] - 15:20, 30:24, 31:22, 35:5, 35:6, 36:21, 53:22, 53:23
reasonableness [2] - 15:26, 70:9
reasonably [2] - 50:3,

79:26
reasons [10] - 14:24, 15:15, 19:15, 19:23, 19:25, 20:1, 21:17, 24:15, 32:6, 42:19
reassurance [2] - 13:26, 14:4
recapitalise [1] - 11:18
recent [3] - 71:12, 71:28, 81:7
recently [2] - 45:14, 71:13
recognise [1] - 2:15
recommend [1] - 33:9
RECORDED [1] - 1:25
recovery [1] - 46:2
red [2] - 30:8, 31:20
redirect [1] - 60:27
reduce [1] - 34:10
reducing [2] - 14:10, 34:5
reductions [1] - 42:13
refer [1] - 30:28
reference [1] - 11:5
references [1] - 31:5
referring [1] - 23:10
refinance [1] - 82:8
reflect [4] - 27:26, 57:23, 84:15, 84:21
reflected [1] - 82:6
reflecting [3] - 35:25, 43:13, 62:9
reflects [1] - 14:17
regime [1] - 35:13
regimes [1] - 35:18
regulate [1] - 52:9
regulated [15] - 3:14, 4:6, 5:7, 5:20, 12:12, 13:1, 13:5, 14:19, 18:14, 18:16, 29:7, 42:11, 46:18, 48:10, 71:24
regulates [1] - 32:18
regulation [4] - 7:2, 33:9, 52:6, 52:10
REGULATOR [1] - 1:9
regulator [11] - 6:1, 6:21, 18:7, 20:15, 23:19, 51:15, 55:2, 56:1, 62:24, 75:2, 75:10
regulators [53] - 7:11, 7:12, 7:20, 7:23, 8:3, 10:20, 16:14, 16:17, 16:23, 17:3, 17:9, 17:10, 17:27, 18:28, 19:2, 20:18, 28:24, 28:27, 29:3, 29:4, 29:20, 30:28, 31:2, 31:4, 31:9, 31:13, 31:15, 31:18, 31:28, 32:5, 32:13, 32:14, 35:2, 36:27, 37:7, 44:2, 51:17, 51:19, 52:5, 52:8, 52:20, 53:6, 53:8, 53:11, 53:21, 54:12, 55:4, 55:9, 55:20, 56:2, 58:2, 58:6, 58:9
regulators' [2] - 16:12, 16:25
regulatory [49] - 5:4, 6:14, 9:13, 10:26, 12:9, 13:18, 13:28, 14:10, 14:14, 16:16, 18:1, 18:4, 18:6, 18:12, 18:25, 18:27, 19:9, 19:13, 19:16, 19:20, 19:24, 19:28, 20:4, 20:10, 22:26, 30:23, 31:14, 32:14, 35:10, 35:12, 35:18, 36:9, 36:10, 36:13, 36:17, 36:20, 37:8, 37:28, 38:3, 38:5, 40:11, 59:14, 66:19, 66:28, 67:11, 76:9, 76:25, 79:6, 82:12
reinforcing [1] - 9:5
reinvestment [1] - 26:16
reject [1] - 28:16
rejected [1] - 28:23
rejects [1] - 28:27
relate [1] - 46:1
relates [2] - 13:20, 80:13
relationship [3] - 80:15, 81:14, 81:20
relative [1] - 75:18
relatively [1] - 48:8
relegated [1] - 33:1
relevant [6] - 19:7, 31:27, 36:12, 52:17, 56:9, 79:4
reliable [3] - 9:21, 16:2, 81:18
reluctantly [1] - 60:11
remove [1] - 12:7
removing [1] - 48:12
repayments [1] - 40:19
repeat [2] - 27:3, 72:25
report [2] - 46:16, 71:12
reporting [1] - 13:2
reports [6] - 34:4, 44:27, 45:11, 46:7, 70:21
require [2] - 33:17, 81:13
required [6] - 16:9, 32:19, 46:12, 54:24, 56:4, 65:19
requirement [1] - 56:1
requires [2] - 16:10, 22:16
reserve [1] - 26:22
residual [3] - 6:19, 42:7, 47:26
respect [1] - 2:19
respectful [1] - 83:23
respects [2] - 2:17, 4:25
respond [3] - 40:8, 44:8, 45:20
response [3] - 44:25, 72:12, 82:25
responses [1] - 83:27
responsibility [1] - 26:7
responsible [1] - 23:26
restricting [1] - 30:25
result [2] - 10:19, 61:22
results [3] - 17:4, 33:22, 53:15
Return [1] - 2:3
RETURN [1] - 1:10
return [111] - 1:13, 2:24, 3:2, 3:15, 3:17, 4:12, 4:21, 5:15, 6:4, 6:5, 6:10, 6:17, 6:19, 6:25, 6:26, 7:6, 7:15, 8:2, 8:23, 9:1, 9:14, 10:19, 10:28, 11:4, 11:13, 12:1, 13:15, 13:21, 13:28, 14:6, 14:11, 14:18, 14:28, 15:19, 15:27, 16:21, 18:8, 18:20, 19:18, 19:21, 20:5, 22:12, 24:9, 25:23, 26:2, 28:2, 29:6, 29:24, 30:1, 33:10, 33:11, 33:12, 33:15, 33:16, 33:20, 35:14, 36:18, 36:22, 36:26, 37:10, 37:14, 37:25, 37:26, 38:6, 38:10, 38:19, 38:28, 39:13, 40:14, 46:10, 46:12, 51:1, 51:3, 54:5, 58:12, 59:12, 59:17, 60:5, 61:5, 61:8, 61:15, 62:27, 63:10, 65:18, 66:5, 66:21, 66:23, 66:25, 66:27, 67:5, 67:8, 67:9, 67:19, 67:21, 67:22, 67:24, 68:2, 68:8, 68:11, 68:23, 69:11, 73:10, 73:13, 75:3, 75:6, 76:3, 76:14, 80:6
returns [34] - 5:25, 6:12, 16:9, 21:20, 22:25, 22:26, 23:20, 32:1, 32:2, 33:19, 33:23, 44:1, 61:22, 62:26, 64:11, 65:2, 65:3, 65:5, 65:9, 65:10, 65:16, 65:23, 65:25, 65:28, 66:1, 66:7, 66:10, 68:19, 68:21, 72:3, 76:8, 76:10, 78:22, 79:5
revenge [1] - 33:2
revenue [5] - 5:26, 5:28, 18:18, 38:16, 45:6
revenues [7] - 7:16, 19:6, 44:20, 44:21, 44:22, 45:28, 76:1
review [1] - 84:27
revisit [1] - 17:11
reward [1] - 56:12
rightly [1] - 36:23
rise [3] - 22:4, 59:27, 77:25
rising [1] - 77:14
risk [32] - 11:1, 26:12, 55:11, 61:7, 62:26, 63:3, 63:4, 63:10, 64:12, 65:21, 65:26, 66:10, 69:5, 69:17, 69:18, 71:17, 72:24, 72:26, 72:28, 77:19, 77:24, 77:28, 78:21, 79:17, 80:15, 80:26, 81:15, 81:19, 81:20, 85:5
risks [4] - 62:21, 62:22, 62:24
robust [3] - 12:20, 13:4, 81:2
robustness [1] - 8:22
role [5] - 3:7, 7:10, 8:21, 41:28
roles [1] - 28:25
roll [1] - 82:1
room [1] - 51:9
RoRI [2] - 78:16, 81:24
round [3] - 70:12, 74:4, 79:1
rule [5] - 9:28, 27:12, 35:26, 73:20, 80:8
rules [1] - 53:2
run [10] - 3:23, 19:27, 20:18, 34:9, 34:13, 36:13, 75:23, 76:15, 76:18, 76:24
running [2] - 34:15, 66:20

S

safe [1] - 40:3
sake [1] - 10:9
sampling [1] - 57:24
Satchell [1] - 70:21
satisfied [1] - 36:20
satisfy [1] - 72:6
satisfying [1] - 47:27
Savage [1] - 1:19
SAVAGE [11] - 34:21, 35:24, 37:23, 50:28, 58:15, 69:27, 79:8, 83:8, 83:14, 84:4, 85:18
scenario [17] - 58:24, 59:25, 60:12, 60:15, 60:16, 60:18, 60:26, 61:11, 61:21, 61:25, 62:16, 63:14, 63:22, 63:26, 63:28, 68:8, 75:13
scenarios [13] - 51:20, 59:2, 60:2, 60:4, 60:10, 60:14, 60:19, 61:2, 61:27, 61:28, 63:21, 63:23, 75:19
sceptical [2] - 43:25, 46:24
scepticism [1] - 27:6
scheme [2] - 7:19, 68:3
scope [2] - 46:26, 47:7
score [1] - 33:3
scorekeepers [1] - 33:2
searching [1] - 47:14
second [8] - 21:14, 43:21, 44:14, 46:5, 56:15, 73:19, 80:17, 81:4
second-guessing [1] - 73:19
secondly [2] - 5:15, 23:8
sections [1] - 83:21
sector [2] - 14:22, 14:26
see [16] - 5:5, 8:21, 11:27, 17:12, 25:27, 27:19, 31:26, 35:14, 48:2, 49:22, 62:1, 66:23, 73:13, 75:17, 82:13, 84:22
seeing [1] - 85:8
seek [1] - 54:19
seem [3] - 9:1, 77:13, 78:3
selecting [2] - 53:18, 54:20
self [1] - 80:7
self-interest [1] - 80:7
send [1] - 64:24
sending [1] - 83:6
sends [1] - 15:3
Senior [1] - 1:20
sense [17] - 5:4, 10:11, 27:17, 27:21, 28:18, 28:22, 30:11, 43:18, 43:22, 44:4, 44:5, 57:6, 57:21, 61:9, 69:23, 73:16, 77:4
senses [1] - 62:3
sensible [1] - 69:8
separately [1] - 51:19
serial [1] - 68:18
serially [1] - 68:22
seriatim [1] - 24:26
serious [1] - 33:6
Service [1] - 35:5
Services [1] - 19:1
session [5] - 2:2, 2:12, 2:21, 2:23, 2:27
SESSION [2] - 1:10, 85:24
sessions [6] - 39:17, 74:6, 78:10, 84:8, 84:21, 85:16
Sessions [1] - 2:4
set [23] - 5:10, 6:2, 6:5, 7:6, 7:15, 8:9, 12:2, 19:13, 19:22, 23:15, 25:10, 25:24, 31:5, 35:12, 36:26, 39:9, 40:14, 51:18, 51:22, 64:22, 75:2, 80:25
sets [1] - 18:7
setting [6] - 3:16, 16:21, 18:1, 18:4, 18:20, 18:23
settlements [1] - 79:6
Seymour [1] - 1:19
shades [1] - 22:28
shadowed [2] - 51:7, 58:18
shadows [1] - 84:15
shall [1] - 51:21
shape [1] - 35:21
share [1] - 42:12
shareholders [2] - 42:28, 71:19
shed [1] - 32:26
shift [1] - 71:3
shine [1] - 61:11
short [1] - 2:27
shortly [1] - 83:14
show [2] - 61:15, 62:15
shown [1] - 72:1
shows [2] - 14:27, 30:8
side [1] - 51:3
signal [1] - 6:21
signals [1] - 83:7
significant [1] - 72:10
significantly [1] - 59:27
similar [3] - 37:6, 52:6, 52:9
similarly [1] - 74:3
simple [6] - 62:9, 67:15,

71:9, 77:7, 78:27, 82:20
simply [3] - 11:23, 31:3, 60:27
simulation [4] - 60:13, 60:21, 62:3, 63:19
single [1] - 5:20
singled [1] - 82:27
sit [1] - 84:6
sitting [2] - 49:1, 51:9
situation [3] - 11:19, 57:11, 71:23
situations [1] - 9:3
sleep [1] - 85:19
slide [3] - 27:12, 35:26, 73:20
slight [1] - 72:3
slightly [3] - 17:16, 41:1, 83:2
slippery [1] - 6:28
slope [1] - 6:28
sloping [1] - 77:9
slowly [1] - 30:17
small [3] - 7:19, 30:10, 48:9
smaller [1] - 67:3
Smith [1] - 1:20
so-called [2] - 12:24, 26:7
soft [1] - 41:26
sole [1] - 23:2
solution [3] - 4:20, 20:3, 25:24
solve [1] - 20:9
solvency [4] - 26:5, 26:8, 26:13, 26:21
sometimes [1] - 34:8
somewhat [2] - 60:11, 77:12
somewhere [2] - 67:27, 68:23
soon [1] - 57:24
sorry [6] - 33:22, 42:17, 57:12, 69:27, 81:17, 82:16
sort [24] - 3:23, 3:27, 4:3, 8:17, 12:6, 14:3, 27:22, 35:3, 36:7, 43:24, 44:4, 59:21, 60:7, 60:28, 61:3, 67:5, 69:3, 73:16, 76:2, 76:22, 81:2, 81:21, 85:22
sorts [4] - 16:2, 20:19, 47:7, 54:7
source [3] - 6:24, 7:24, 20:10
Spaniel [1] - 29:26
Spaniels [1] - 30:20
Spark [2] - 44:28, 45:12
speakers [1] - 44:18
specific [1] - 3:20
specifically [1] - 5:14
specification [1] - 8:24
spend [3] - 3:4, 21:4, 73:21
spending [2] - 23:24, 23:25
spent [1] - 70:20
spoken [2] - 74:5, 78:3

stability [5] - 74:12, 74:13, 74:18, 74:23
STAFF [1] - 1:16
staff [1] - 51:8
stakeholders [3] - 62:8, 74:11, 75:15
stand [1] - 73:12
standard [6] - 8:10, 48:25, 49:7, 71:25, 72:18, 73:9
stapled [1] - 12:13
start [12] - 2:27, 25:6, 34:15, 52:5, 52:10, 52:15, 52:16, 53:19, 57:25, 73:25, 81:24, 83:13
started [1] - 33:25
starting [1] - 27:15
state [1] - 33:5
statements [1] - 84:2
States [1] - 25:18
states [2] - 60:8, 61:20
statisticians [2] - 68:11, 68:13
status [1] - 75:18
stay [1] - 59:25
sterilising [1] - 12:6
Steve [1] - 70:20
stick [1] - 33:26
still [8] - 8:5, 13:19, 48:28, 51:5, 54:9, 58:1, 62:9, 84:17
stop [3] - 20:11, 34:1
story [1] - 32:27
straightforward [1] - 7:27
Strait [1] - 2:20
strategy [1] - 34:14
streams [4] - 44:20, 44:24, 45:2, 45:15
strip [1] - 13:5
stripped [3] - 13:16, 48:22, 50:20
stripping [1] - 50:2
strong [1] - 48:20
structure [4] - 20:8, 26:14, 62:25, 77:10
structures [1] - 56:3
struggle [1] - 4:16
stuck [2] - 59:18, 60:22
studied [1] - 42:19
stuff [2] - 2:22, 85:22
subliminally [1] - 13:25
submissions [3] - 80:1, 84:18, 84:22
subsets [2] - 48:17, 48:18
substantial [5] - 42:2, 42:9, 42:10, 45:18, 71:16
success [2] - 7:3, 41:16
sudden [1] - 63:23
sufficient [4] - 5:10, 17:24, 18:15, 18:18
suggest [6] - 23:28, 31:16, 34:4, 37:24, 63:5, 79:14
suggested [3] - 26:28, 68:9, 73:12
suggesting [6] - 30:22, 31:10, 56:24, 58:4, 58:7,

72:16
suggestion [4] - 32:20, 35:27, 68:25, 75:14
suggestions [1] - 3:23
suggestive [1] - 14:14
suggests [2] - 45:15, 60:15
sum [2] - 26:17, 61:6
summary [1] - 44:10
supercomputer [3] - 27:9, 35:26, 73:20
superfluous [2] - 27:13, 27:14
support [2] - 4:7, 9:24
supported [1] - 75:7
supports [1] - 68:25
suppose [2] - 22:7, 65:24
supposed [1] - 49:14
surveys [1] - 77:20
suspect [2] - 13:25, 28:8
suspicion [1] - 48:21
synergies [1] - 13:11
synergy [4] - 42:20, 42:21, 42:23, 43:3
systems [2] - 52:6, 52:10

T

tackle [1] - 79:23
takeover [1] - 44:28
takeovers [1] - 5:21
talented [1] - 51:8
targets [1] - 45:1
task [4] - 16:15, 16:16, 16:19, 37:21
taught [1] - 50:16
tax [3] - 6:11, 18:17, 38:16
taxes [1] - 32:6
team [2] - 64:25, 84:15
teased [1] - 71:22
technically [1] - 64:22
tempted [1] - 73:25
tend [6] - 35:19, 49:21, 50:26, 60:13, 62:2, 77:25
tendency [1] - 30:27
term [7] - 35:19, 54:22, 56:11, 64:15, 77:8, 77:10, 83:4
terminal [1] - 22:23
terms [8] - 8:1, 22:22, 39:6, 47:14, 53:7, 54:10, 57:19, 58:19
test [26] - 8:22, 18:12, 18:14, 19:5, 19:16, 19:25, 19:27, 19:28, 20:3, 20:13, 20:14, 20:16, 20:20, 26:8, 36:8, 36:9, 36:11, 36:14, 38:1, 38:9, 40:12, 40:25, 53:23, 59:21, 75:16, 82:20
testing [7] - 8:17, 28:15, 58:25, 60:26, 61:25, 63:28, 75:13
tests [6] - 6:22, 18:4, 18:27, 19:8, 20:19, 38:6

THE [1] - 85:24
themselves [1] - 71:24
theory [1] - 5:3
therefore [8] - 6:3, 7:22, 21:23, 34:3, 43:9, 56:10, 57:8, 73:11
they've [1] - 52:1
thinking [14] - 8:17, 14:19, 17:26, 44:8, 44:27, 63:6, 75:27, 76:7, 78:26, 78:28, 80:21, 81:14, 81:24, 85:9
thoughtful [2] - 83:23, 85:13
thoughtfulness [1] - 83:27
thoughts [3] - 3:1, 59:5, 72:8
three [1] - 60:2
throughout [1] - 2:14
throw [3] - 7:24, 31:11, 37:16
throwing [1] - 44:23
THURSDAY [1] - 1:26
toasters [2] - 82:21, 83:5
Toby [17] - 1:22, 2:26, 2:28, 3:18, 8:19, 15:10, 15:16, 15:23, 16:11, 17:17, 18:2, 19:14, 52:26, 72:21, 73:4, 75:21, 76:28
Toby's [1] - 78:14
today [8] - 2:20, 2:25, 58:28, 64:3, 64:6, 84:19, 85:11, 85:18
together [5] - 34:22, 73:15, 73:22, 73:24, 84:14
tongue [1] - 83:3
tongue-in-cheek [1] - 83:3
took [2] - 11:25, 67:4
top [2] - 12:6, 68:4
topic [2] - 50:10, 51:20
topics [2] - 40:28, 68:28
Torres [1] - 2:19
total [1] - 49:23
totally [3] - 7:27, 21:15, 52:19
touched [1] - 78:8
tour [1] - 24:22
towards [2] - 53:27, 85:1
track [2] - 81:6, 81:9
traded [1] - 48:18
trading [1] - 3:12
traditional [2] - 2:14, 42:4
trailing [9] - 21:18, 21:26, 69:28, 71:15, 81:6, 81:8, 81:26, 82:6, 82:9
transaction [2] - 46:22, 46:23
transactions [1] - 45:17
TRANSCRIPT [1] - 1:8
transcripts [1] - 2:8
transfers [1] - 71:18
translated [1] - 9:27
translates [1] - 16:20
transparency [1] - 8:16
transparently [1] - 3:9

Transportation [1] - 35:5
trees [1] - 63:25
tricky [1] - 73:17
tried [2] - 20:16, 47:21
tries [2] - 18:13, 33:19
trivial [1] - 71:10
trouble [1] - 28:4
true [7] - 11:2, 33:5, 49:1, 68:23, 70:17, 73:6, 73:9
truly [1] - 31:8
try [4] - 17:21, 20:13, 23:13, 31:14
trying [12] - 7:13, 7:20, 16:23, 29:4, 29:26, 41:10, 45:1, 45:17, 48:20, 54:15, 55:20, 65:17
turn [7] - 55:18, 66:2, 66:3, 71:1, 71:2, 82:22, 83:6
turns [1] - 43:2
two [28] - 3:4, 19:15, 19:23, 20:1, 24:15, 28:24, 35:3, 36:15, 38:7, 38:16, 38:20, 38:23, 39:2, 40:20, 40:25, 51:4, 53:21, 56:14, 58:6, 65:1, 65:5, 67:23, 67:27, 68:26, 69:20, 74:21, 80:10, 81:13
two-year [1] - 67:23
types [3] - 17:22, 37:3, 56:22
typically [3] - 36:26, 45:24, 47:4

U

ubiquitous [1] - 49:22
UK [9] - 18:28, 52:7, 54:13, 54:14, 54:15, 54:17, 54:28, 55:9, 56:5
ultimate [1] - 8:22
ultimately [2] - 9:23, 14:7
umpires [1] - 32:28
un-precision [1] - 27:14
unbiased [1] - 66:26
uncertain [1] - 59:19
uncertainties [1] - 22:6
uncertainty [5] - 27:27, 39:16, 39:21, 70:5, 70:7
unconventional [1] - 10:22
uncover [1] - 47:16
under [9] - 54:24, 59:23, 60:2, 60:6, 60:8, 61:16, 61:19, 75:19, 85:16
underlying [3] - 11:22, 66:15, 80:5
underneath [1] - 44:19
underspent [1] - 6:9
undertake [1] - 60:20
underwritten [1] - 26:17
unfair [1] - 64:17
unfortunately [4] - 5:16, 5:24, 7:4, 72:25
United [1] - 25:18
units [1] - 7:28

unknown [1] - 73:9
unless [1] - 64:17
unmerited [1] - 33:2
unregulated [6] - 12:28,
13:1, 13:4, 44:21, 46:3,
50:25
unsurprised [1] - 21:15
up [28] - 7:24, 8:4, 8:23,
9:3, 14:27, 23:25, 26:20,
29:28, 30:8, 30:19, 31:5,
34:13, 35:12, 36:10,
37:16, 40:22, 40:27,
48:28, 55:20, 58:4,
62:16, 64:14, 64:22,
67:3, 71:1, 73:18, 77:28,
82:5
upcoming [1] - 3:28
update [3] - 72:26, 72:28,
73:1
updated [1] - 59:17
updating [1] - 72:27
upper [1] - 28:3
upward [2] - 72:3, 77:9
US [3] - 35:12, 35:15,
53:21
useful [26] - 5:17, 5:23,
7:10, 7:23, 8:6, 13:7,
13:23, 15:13, 15:14,
15:21, 16:8, 16:12, 17:4,
23:1, 33:28, 35:15,
43:27, 43:28, 44:5,
52:21, 54:9, 55:12,
55:16, 62:13, 73:5,
83:23
usefulness [1] - 59:1
user [1] - 61:26
users [2] - 35:20, 62:5
uses [3] - 16:28, 21:17,
24:9
utilities [1] - 5:20

V

valid [1] - 63:5
valuation [9] - 13:4, 42:5,
44:28, 45:10, 45:13,
46:7, 46:21, 48:15,
50:16
valuations [1] - 22:22
value [32] - 5:7, 9:6, 12:24,
12:26, 12:27, 15:17,
21:11, 21:23, 21:24,
21:25, 22:18, 22:23,
25:15, 41:17, 41:20,
42:10, 42:13, 42:26,
44:18, 44:20, 44:24,
45:2, 45:8, 45:28, 48:6,
49:23, 50:8, 50:21,
50:24, 54:2, 55:3, 71:7
valuer [3] - 45:1, 46:7,
46:22
values [5] - 5:6, 9:1, 14:8,
27:24, 71:6
valuing [1] - 50:4
vanilla [2] - 8:1, 25:14
variability [1] - 67:6
variables [3] - 28:1, 36:4,

40:5
variation [4] - 57:24,
57:25, 57:28, 63:11
various [1] - 4:1
varying [1] - 79:15
versus [3] - 64:10, 64:27,
74:23
via [2] - 13:14, 42:13
VIA [1] - 1:25
VIDEOCONFERENCE [1]
- 1:25
view [9] - 27:4, 28:15,
51:23, 61:8, 64:28, 66:8,
69:17, 75:5, 79:25
views [9] - 24:27, 43:26,
47:12, 59:1, 74:9, 74:14,
79:10, 79:15, 82:28
visibility [1] - 80:20

W

WACC [5] - 8:2, 8:22, 9:1,
25:14, 37:9
wait [1] - 81:23
waiting [1] - 30:19
wandering [1] - 47:22
wants [3] - 44:8, 50:12,
69:14
warning [2] - 8:28, 73:18
Warwick [1] - 1:16
wary [1] - 54:3
wash [1] - 38:7
waters [1] - 2:16
ways [5] - 27:4, 50:2, 52:9,
53:13, 65:1
wealth [1] - 71:18
wear [1] - 11:15
wedge [1] - 50:7
week [6] - 29:13, 51:7,
58:18, 64:16, 84:15,
85:11
weight [6] - 29:18, 31:11,
37:2, 57:20, 58:2, 77:18
weighted [4] - 23:16,
25:13, 68:1, 68:25
weighting [1] - 68:3
weights [1] - 58:6
welcome [3] - 2:1, 2:4, 2:5
well-established [1] - 50:3
well-pruned [1] - 63:26
Western [1] - 51:25
whichever [1] - 6:23
whilst [1] - 79:14
whole [8] - 5:14, 6:15,
14:26, 28:13, 29:8, 32:6,
69:12, 82:8
wide [5] - 28:9, 36:24,
48:28, 53:1, 74:9
widely [3] - 23:4, 53:10,
53:16
wilderness [1] - 47:23
willing [1] - 54:17
willingness [1] - 74:26
wise [1] - 84:24
wish [1] - 26:15
wonder [3] - 64:12, 68:9,
82:27

words [2] - 53:3, 78:1
works [1] - 38:1
world [9] - 12:11, 12:18,
16:17, 29:28, 31:26,
35:2, 60:8, 61:20, 75:19
worried [3] - 63:20, 83:5,
83:8
worry [1] - 83:8
worth [7] - 41:14, 48:20,
58:16, 64:12, 67:18,
75:27
worthwhile [1] - 41:12
Wright [1] - 54:13
written [1] - 71:11
wrongly [1] - 12:2
wrote [1] - 28:21

Y

year [21] - 65:27, 66:1,
66:2, 66:4, 66:5, 66:21,
66:23, 66:25, 66:27,
66:28, 67:4, 67:8, 67:9,
67:11, 67:18, 67:19,
67:23, 76:6, 77:8, 82:2,
84:28
year's [1] - 68:11
year, [1] - 85:2
years [9] - 10:16, 21:1,
49:21, 65:25, 66:20,
76:12, 81:7, 81:8, 83:6
yesterday [1] - 82:26
yield [1] - 61:18
yourself [3] - 30:25, 47:6,
73:19

Z

Zealand [7] - 52:7, 53:28,
54:1, 54:3, 54:28, 55:8,
56:6
zero [4] - 4:26, 67:21,
67:25, 68:18
zeroes [1] - 36:22